

717	<p>1 A. Dingman For Livingstone 2 Landowners Group 3 4 C.E. Hanert For Piikani Nation 5 6 B. Barrett For Stoney Nakoda 7 Nation 8 9 M.B. Niven, KC For MD of Ranchland 10 No. 66 11 M.A. Custer For MD of Ranchland 12 No. 66 13 14 A. Gulamhusein For Municipality of 15 Crowsnest Pass 16 17 D. DiPaolo, CSR(A) Official Court 18 S. Murphy, CSR(A) Reporters 19 20 (PROCEEDINGS COMMENCED AT 9:02 AM) 21 Opening Remarks 22 THE CHAIR: Thank you. Please 23 be seated. 24 Good morning, and welcome back. I wish to 25 remind everybody that no recording of the 26 proceeding, photographs, video or voice</p>	718	<p>1 recording, please. 2 Those of you in the hearing room may be 3 seen on the camera. If you have any concerns, 4 either talk to one of the staff or you're 5 welcome to move to the overflow room down the 6 hallway. 7 And please speak to the microphone. Speak 8 slowly for the benefit of the court reporters 9 'cause they need to capture it. 10 And any preliminary matters from the 11 parties? No? Hearing none. 12 Okay, Mr. Fitch. 13 G. FITCH: Thank you, 14 Madam Chair, and good morning. I'm pleased to 15 present the final two witnesses for the 16 Livingstone Landowners Group. Seated closest 17 to the Hearing Panelists is Mr. Lorne Fitch, 18 and next to Mr. Fitch is Dr. Brad Stelfox. At 19 this time, I would ask that the witnesses be 20 affirmed, please. 21 BRAD STELFOX, Affirmed 22 LORNE FITCH, Affirmed 23 Direct Evidence of Livingstone Landowners Group 24 Q G. FITCH: Good morning, 25 Mr. Fitch. I'm going to start with you first. 26 You can confirm that to the best of your</p>
719	<p>1 knowledge, you and I are not related? 2 A L. FITCH: I can confirm that, 3 Mr. Fitch. 4 Q Okay. And can you also confirm that you were 5 retained by the Livingstone Landowners Group to 6 review the June 2023 predisturbance site 7 assessment prepared for Northback by Trace 8 Associates? 9 A I was. 10 Q And you did that, and you prepared a report 11 titled "A Review of the Proposed Northback Coal 12 Exploration Application for Grassy Mountain"; 13 correct? 14 A I did. 15 G. FITCH: And for the record, 16 Madam Chair and Panel Members, Mr. Fitch's 17 report is Exhibit A to the Livingstone 18 Landowners Group's written submissions of 19 October 2nd, 2024. That's Exhibit 84.01 20 beginning at PDF 13. 21 Q G. FITCH: Mr. Fitch, can you 22 confirm that your curriculum vitae is attached 23 to your report at PDF page 47 of the LLG 24 submissions? 25 A It is. 26 Q And you can confirm that your CV accurately</p>	720	<p>1 sets forth your experience and your 2 qualifications? 3 A It does. 4 Q Okay. And returning to your report, the report 5 you prepared, can you confirm it is accurate 6 and true to the best of your knowledge and 7 belief? 8 A It is. 9 Q And do you adopt it as your evidence in this 10 proceeding? 11 A I do. 12 Q And, sir, can you confirm that since you 13 prepared your report, you have reviewed the 14 rebuttal to your report that was prepared by 15 Trace Associates? 16 A I have. 17 Q And you have also reviewed the Trace 18 Associates' updated October 2024 PDSA? 19 A I have. 20 Q Okay. Thank you. 21 And, finally, sir, can you confirm that as 22 an expert witness providing opinion evidence to 23 the regulator, you are obligated to be 24 independent, objective, and impartial? 25 A I can confirm that. 26 Q Thank you.</p>

<p style="text-align: right;">721</p> <p>1 All right. I'm going to start by asking 2 you to introduce yourself to the Hearing Panel 3 and to summarize your experience and 4 qualifications. 5 A Thank you. 6 Good morning, Madam Chair and Panel 7 Members. 8 I'd like to give you a bit of background on 9 myself. 10 I've been a practicing biologist for over 11 50 years. I've been a professional biologist, 12 a member of the Alberta Society of Professional 13 Biologists for 48 years. I'm a retired 14 provincial fish and wildlife biologist for 15 35 years. I held positions as a fisheries 16 research and inventory biologist, the section 17 head of regional habitat management, the 18 section head of regional fisheries management, 19 and the provincial riparian specialist over a 20 time span from 1971 to 2006. 21 I was also an adjunct professor with the 22 University of Calgary from 2004 to 2018, and 23 I'm the cofounder of a riparian stewardship 24 initiative colloquially known as "Cows & Fish". 25 As -- in the span of my career, I've 26 reviewed land and water use applications;</p>	<p style="text-align: right;">722</p> <p>1 monitored land use activities and effects; 2 collected evidence for environmental 3 prosecutions and acted as an expert witness; 4 proposed terms of reference for fish and 5 wildlife inventories and participated in data 6 collection and analysis; led mitigation 7 programs for Fish and Wildlife Compensation; 8 managed, directed, and monitored mitigation 9 actions; participated in trout species at risk 10 recovery planning; participated on the 11 provincial Endangered Species Conservation 12 Committee; was the Fish and Wildlife division 13 lead for the Livingstone-Porcupine Hills 14 integrated resource plan; and assisted local 15 community groups in the development of the 16 Livingstone-Porcupine Hills subregional plan; 17 and in addition, I've developed and delivered 18 education and outreach programs. 19 I have the following experience with coal 20 exploration and development: In 1972 I 21 undertook a biological survey of Dogrib Creek 22 in the Panther River drainage to assess the 23 effects of coal exploration on a stream with 24 bull trout populations. A coal exploration 25 road had been constructed two years previously 26 and crossed several of the tributaries of</p>
<p style="text-align: right;">723</p> <p>1 Dogrib Creek. I also assessed the erosion from 2 coal exploration roads in the watersheds of the 3 Panther and Dormer Rivers. 4 In 1976 I undertook biological surveys in 5 the Crowsnest River watershed, including 6 streams impacted by existing and legacy coal 7 mines, the Tent Mountain mine, and the Grassy 8 Mountain mine on Crowsnest Creek, East 9 Crowsnest Creek, Blairmore Creek, Gold Creek, 10 and additionally on another legacy mine in 11 McGillivray Creek. 12 I monitored the effects of the Tent 13 Mountain haul road and mine settling ponds and 14 water quality and provided concerns to 15 regulatory agencies in the early 1980s, and I 16 did the same for the legacy Racehorse Creek 17 coal mine. 18 In the 1980s I provided review comments on 19 terms of reference and environmental impact 20 assessments for several proposed Plains coal 21 mines. 22 I inspected the aftermath of the coal spoil 23 pile failure from Grassy Mountain into 24 Gold Creek in 2015 and made observations of the 25 extent of coal spoil covering the stream 26 substrate materials with possible implications</p>	<p style="text-align: right;">724</p> <p>1 to trout populations. I reviewed the aquatic 2 section of the Benga environmental impact 3 assessment for the proposed Grassy Mountain 4 coal mine in 2020 and provided expert testimony 5 to the joint review panel on impacts to 6 westslope cutthroat trout populations at 7 Blairmore Creek and Gold Creeks. 8 I participated with researchers from the 9 University of Lethbridge in 2021 on water 10 quality sampling in the Crowsnest watershed to 11 define issues related to selenium contamination 12 of surface waters from legacy mining 13 operations. 14 Failures of settling ponds beneath the Tent 15 Mountain mine on East Crowsnest Creek and the 16 infilling of beaver dams from overburden on 17 Crowsnest Creek led to extirpation of the 18 westslope cutthroat population of East 19 Crowsnest Creek and the headwaters of Crowsnest 20 Creek. 21 In 2021 I provided input to the Canadian 22 Impact Assessment Agency and the AER on the 23 Montem coal project EIA terms of reference 24 based on these concerns. 25 With four retired Alberta Fish and Wildlife 26 biologists, we provided a synoptic review and</p>

<p style="text-align: right;">725</p> <p>1 comments to the Alberta Coal Policy Committee 2 in 2021 on environmental issues from coal 3 mining in the eastern slopes based on our 4 collective experiences and observations over a 5 50-year period. 6 I inspected coal exploration roads on Cabin 7 Ridge in 2022 and provided an assessment of 8 concerns to the local municipality, to 9 conservation concerns and to the AER. I 10 provided Department of Fisheries and Oceans and 11 the AER with advice and concerns related to 12 coal exploration in the eastern slopes in 2022. 13 I reviewed expansion plans for the Vista coal 14 mines south of Hinton in 2024 and provided 15 concerns over the implications of coal 16 exploration and development for species-at-risk 17 trout to Ecojustice. 18 And although not related to coal, I have 19 reviewed, inspected, and measured the effects 20 of forestry roads, which are similar to coal 21 exploration roads, on water quality and impacts 22 on trout and aquatic invertebrates. 23 Q Thank you. Thank you, Mr. Fitch. 24 With that summary of your qualifications, 25 and in particular relating to coal, I would now 26 ask you to please provide a summary of your</p>	<p style="text-align: right;">726</p> <p>1 report and your principal opinions. 2 A Thank you. 3 I'd like to provide you a brief summary of 4 my review comments on the Trace reports for 5 proposed coal exploration on Grassy Mountain, 6 and these were taken from the evidence that 7 Mr. Fitch has indicated I provided. 8 The conclusions from the Trace report were 9 that no wildlife were observed and no wildlife 10 sign was apparent, so there is low potential 11 for the coal exploration program to affect 12 wildlife. 13 The use of best management practices will 14 prevent erosion, and, presumably, there will be 15 no impact on downstream trout populations, 16 although there was no mention of trout in 17 downstream water. 18 So, first of all, I'd like to provide some 19 comments on the utility of the desktop 20 assessment done by Trace. 21 Although no meaningful results were 22 provided from the desktop assessment done by 23 Trace, there are some inherent flaws in relying 24 on this source to do more than scope out the 25 terms of reference for an impact assessment. 26 Referral maps and the species databases from</p>
<p style="text-align: right;">727</p> <p>1 Alberta Environment and Protected Areas can be 2 characterized as generalizations, broad-scale 3 summaries derived from a variety of sources at 4 irregular intervals. 5 They are often missing information on 6 scarce, rare, threatened, and endangered 7 species; ones most likely to be impacted 8 negatively by a land use activity like road 9 building, drill site preparation, stream 10 crossings, and any subsequent reclamation 11 efforts. Historical information is lacking 12 since most have not been digitized. 13 There may be problems in data verification. 14 As an example, in the Fish and Wildlife 15 Internet Mapping Tool, which, presumably, is 16 the scan done of species present for the coal 17 exploration area, the species summary report 18 notes brown trout, which are not found in 19 Blairmore, Gold, or Daisy Creeks, but misses 20 bull trout found in Daisy Creek. 21 Q Sorry. And maybe I'll just stop you there, 22 Mr. Fitch. 23 G. FITCH: If we could pull up 24 Exhibit 86.1 and go to PDF 108, please. 25 Q G. FITCH: All right. You just 26 mentioned the Fish and Wildlife Internet</p>	<p style="text-align: right;">728</p> <p>1 Mapping Tool. I take it you were referring to 2 the document that's now up on the screen? 3 A Yes. And if you look on the left-hand column 4 under "Fish Inventory", it lists a number of 5 fish species, including brown trout, which are 6 not found in Blairmore, Gold, or Daisy Creeks, 7 but misses bull trout, which are found in Daisy 8 Creek. 9 Q All right. Thank you. Carry on. 10 A The information on many groups of plant and 11 wildlife species is unavailable because 12 departmental priorities don't allow inventories 13 to be completed or updated. Amphibians, rare 14 plants, small mammals, plus resident and 15 migratory birds are common examples of 16 overlooked and underreported species. There is 17 a high likelihood of data gaps, and the 18 existing information may be incomplete and out 19 of date. 20 In light of consistent budget cuts and lack 21 of resources available to government staff to 22 update inventories and research, availability 23 of critical information is severely limited. 24 Other key features missing are: mineral 25 licks; dens; cavities; seeps; springs; and 26 burrows important for nesting; foraging;</p>

<p style="text-align: right;">729</p> <p>1 calving; lambing; nursery; source water; and 2 overwintering habitats. When available, some 3 of these are not noted on referral maps to 4 protect sites from unwarranted public use. 5 Some radio caller datasets and sensitive 6 features may be filtered from public or 7 stakeholder or industry analysis and requires 8 specific requests to gain access. 9 So to summarize, a desktop method is not 10 robust enough to use exclusively for 11 decision-making. It is a starting point and 12 provides a set of guidelines to understand what 13 additional information has to be collected, the 14 timing of collection, the appropriate 15 methodology, how detailed and robust the 16 assessment should be, especially for cryptic 17 species-at-risk listed species like Columbia 18 spotted frog, long-toed salamanders, and boreal 19 toads to better able understand impacts and 20 avoid, reduce, or mitigate the negative effects 21 of a proposed land use activity. 22 I'll turn my attention now to comments on 23 additional biological information. 24 Additional information on the biodiversity 25 values of the proposed coal exploration area 26 was available to assist in the assessment of</p>	<p style="text-align: right;">730</p> <p>1 impacts. This would have assisted in 2 identifying Fish and Wildlife species 3 distribution, abundance, key habitats, and 4 critical areas in the watershed. I have 5 detailed the extensive list in my review, but 6 in the interest of brevity, I won't provide all 7 of the details. However, some comments are 8 useful. 9 During the development of the 10 Livingstone-Porcupine Hills Land Footprint 11 Management Plan, the majority of wildlife 12 datasets were compiled by the Southern Rockies 13 GIS unit. This included the area around Grassy 14 Mountain as it was evident the Livingstone 15 complex was one of the most important 16 landscapes for wildlife north of Highway 3. 17 Nothing from this source was referenced in the 18 consultant's report, including the linear 19 disturbance thresholds required to sustain fish 20 and wildlife populations. 21 The Southern Rockies Landscape Planning 22 Pilot Study provides an extensive review of 23 biodiversity information that includes the 24 Grassy Mountain area. This source would have 25 provided some measure of historical information 26 and potential habitat for many underrepresented</p>
<p style="text-align: right;">731</p> <p>1 wildlife species. 2 Other publicly available sources included 3 information on grizzly bears, elk, mule deer, 4 cougars, wolverine, and wolves. In the October 5 23rd -- October 23rd, 2024, reply submission of 6 Northback prepared by Trace consultants, some 7 additional information was provided on grizzly 8 bears. Trace indicated, according to a 9 Government of Alberta 2020 report, that the 10 bear population in Bear Management Area 5 was 11 stable. And in their opinion, existing road 12 density was not a problem; however, the 13 Government of Alberta 2020 report on population 14 status was for the entire area of Bear 15 Management Area 5, which encompasses the area 16 between Highway 1 and Highway 3. In that 17 entire area, there may not be a problem with 18 existing road density, but that does not 19 pertain specifically to the Grassy Mountain 20 area. 21 Also referenced was a report by Apps, et 22 al. 2007, which indicated the landscape 23 surrounding the coal exploration area in 24 there -- and I quote from that report: 25 (as read) 26 ... is of poor suitability for grizzly</p>	<p style="text-align: right;">732</p> <p>1 bear at current conditions. 2 Those current conditions include a large human 3 footprint, including road density, and are not 4 an indication of poor habitat suitability for 5 grizzly bears which should have been noted in 6 the Trace report. 7 Road density as noted in the grizzly bear 8 recovery strategy is concerned with open 9 routes, defined as "roads and trails that 10 receive motorized use". 11 Other sources of information might have 12 added some rigour to the assessment of species 13 presence. Again, the Fish and Wildlife 14 internet mapping tool report notes just eight 15 bird species in the species summary report. A 16 quick review of the Atlas of Breeding Birds of 17 Alberta would have added substantially to that 18 list. 19 Habitat features define the survival, 20 abundance, and distribution of Fish and 21 Wildlife species, yet these critical features 22 can be poorly understood, mapped imperfectly, 23 or missing from any referral maps. 24 Similarly, travel corridors and seasonal 25 stopover habitats important for ungulates like 26 sheep, elk, mule deer, and goats, as well as</p>

<p style="text-align: right;">733</p> <p>1 large carnivores do not appear on referral 2 maps. Population dynamics are not tracked by 3 any referral mechanism, yet an understanding of 4 this is key to appreciating and responding to 5 the vulnerability of a population to a land use 6 activity and fully assessing risks and impacts. 7 Because of the limited data available on 8 government referral maps and associated 9 information, it would have been advisable to 10 consult subject matter experts in Alberta 11 Environment and Protected Areas, in other 12 agencies, as well as other resource 13 professionals to fully understand the 14 information available and its limitations. 15 This was not undertaken. 16 It is especially useful to do so when 17 consultants are not conversant with or fully 18 qualified to interpret Fish and Wildlife data 19 or input particularly to understand data gaps 20 in situations that require subject matter 21 expertise to interpret risks to population 22 sustainability. 23 So in summary, without the referenced 24 publicly available information and discussions 25 with content experts, it's evident the 26 assessment of the coal exploration program has</p>	<p style="text-align: right;">734</p> <p>1 noted deficiencies, data gaps, inaccuracies, 2 and inappropriate findings. 3 I'll make some comments on assessment, 4 scope, and scale. 5 Despite the potential issues of coal 6 exploration programs, the assessment is too 7 narrow in scope and scale to be an effective 8 predictor of issues and impacts. Artificially 9 separating public land from contiguous deeded 10 land for an assessment of the coal exploration 11 program does not reflect reality or even a 12 rudimentary cumulative effects assessment. 13 This wrongly presumes impacts to biodiversity 14 and water quality on Northback deeded land, 15 both past and as part of the coal exploration 16 program will not affect or flow downstream to 17 public land. 18 The information provided by the proponent 19 only touches on exploration activity proposed 20 on public lands and deliberately excludes 21 information related to the work planned on 22 Northback's private land. It is therefore 23 impossible to fully understand the cumulative 24 impact of the entire exploration program. If 25 there is extensive new road construction, more 26 habitat impacted, additional stream or drainage</p>
<p style="text-align: right;">735</p> <p>1 crossings, and extensive industrial traffic on 2 private land, that may have an important 3 cumulative impact on affected streams and 4 biodiversity in the area. 5 Carnivores and ungulate species operate at 6 large scales. The field surveys undertaken for 7 this coal exploration program are only specific 8 to a very limited portion of the landscape. 9 Narrowing the scope for assessment provides an 10 inappropriate and incorrect answer of little or 11 no negative impacts on biodiversity of an 12 industrial activity. This is inconsistent with 13 cumulative effects assessments. 14 Carnivore and ungulate signs may or may not 15 have been present on the days of the surveys, 16 but that does not mean these species are absent 17 or don't use the habitats at some point. Not 18 all habitats are created equal, are equally 19 used year-round or between years, are equally 20 distributed, or are equally critical. However, 21 all habitats have to be present to ensure 22 species' survival over the range of natural 23 variability and more so with the addition of 24 the human land use footprint. 25 Carnivores and ungulates tend to have large 26 home ranges, and to fully understand the</p>	<p style="text-align: right;">736</p> <p>1 presence and use of both at the sites in 2 question, much larger field surveys over larger 3 landscape units and at least over one season 4 would have been a minimal requirement. 5 For grizzly bears there is a low population 6 density with large home ranges. Coupled with 7 that are recent land use activities in nearby 8 areas, including a major pipeline construction 9 crossing the Livingstone Range and lower flanks 10 of Grassy Mountain and logging in Daisy Creek. 11 Given these factors and low or no sampling 12 effort, it might provide the sense of low or no 13 grizzly bear use, which is incorrect. 14 No cumulative impact assessment was done or 15 referenced to understand the larger 16 implications of the coal exploration program. 17 There is a large body of research on the 18 cumulative impacts of development, including a 19 cumulative effects assessment that included the 20 Grassy Mountain area. I'm referring here to 21 the report "Cumulative Effects of Land Uses and 22 Conservation Priorities in Alberta's Southern 23 East Slopes Watersheds". This source provides 24 warning signals on the current land use 25 footprint, future trends, and the risk to 26 sensitive and threatened species, especially</p>

<p style="text-align: right;">737</p> <p>1 native trout and grizzly bears. 2 So in summary, a rapid field assessment of 3 an application with a checklist approach to 4 very complex questions undertaken over a 5 limited number of days is not an effective 6 review of potential issues from coal 7 exploration that could impact fish, wildlife, 8 biodiversity, water quality, water quantity, 9 and cumulative effects. 10 It might be evident that the reason no 11 wildlife was observed and no "wildlife" sign 12 noted is the search horizon was restricted to 13 the proposed 20-by-20-metre drill pads and a 14 small buffer zone. If you shrink the scope and 15 scale of assessment down to a few 16 20-by-20-metre squares, the likelihood is 17 nothing will be found that sets off concerns. 18 I'd like to make some comments on 19 mitigation with particular reference to best 20 management practices and their efficacy. 21 The conclusions from the Trace report are 22 the issues of downstream water quality 23 affecting native trout, which are unmentioned 24 and seemingly unrecognized in Blairmore, Gold, 25 and possibly Daisy Creeks, will be mitigated by 26 simply following unspecified best management</p>	<p style="text-align: right;">738</p> <p>1 practices. Even if no new trails are 2 constructed for the coal exploration program, 3 there is an acknowledgement that existing 4 trails will need to be upgraded. As stated in 5 the proponent's application, and I quote: 6 (as read) 7 Some access and pad locations will 8 require minor surface improvements to 9 accommodate safe equipment passage and 10 associated drilling activities. 11 End of quote. 12 Other parts of the application indicate 13 existing trails will be widened to 7 metres. 14 This cannot be considered minor and requires 15 significant soil disturbance. 16 There is substantial ambiguity about how 17 watercourse crossings will be undertaken, 18 methods used, whether appropriately sized 19 stream and riparian buffers will be in place, 20 and if these measures are adequate to ensure no 21 sediment addition occurs. 22 Widening and other trail improvements 23 combined with heavy vehicle passage will 24 increase erosion potential. The Trace report 25 indicates construction and use in dry or frozen 26 conditions and that this will minimize impacts.</p>
<p style="text-align: right;">739</p> <p>1 Given frequent chinooks and winter rains, this 2 mitigative strategy seems unlikely to reduce 3 erosion. Generally, most erosion happens 4 during the first full year following 5 disturbance. 6 In 2015 an unreclaimed spoil pile on the 7 legacy Grassy Mountain strip mine failed during 8 a rainstorm event, causing a catastrophic spill 9 of overburden into Gold Creek, one of the last 10 streams in the Crowsnest watershed with a 11 genetically pure westslope cutthroat trout 12 population. Jim Rennie in testimony to the 13 Grassy Mountain JRP hearing estimated the 14 cutthroat population had declined 95 percent 15 following this sediment event. The AER 16 investigated but could not determine that 17 ongoing exploration caused the failure and took 18 no action on the incident. 19 This underscores that best management 20 practices are inadequate, given the topography 21 of Grassy Mountain and several routes that 22 cross old and unstable spoil surfaces. 23 G. FITCH: If we could now pull 24 up, please, Exhibit 4.01 and go to PDF 125. 25 A So these are examples from the Trace report of 26 steep, in my opinion, virtually unreclaimable</p>	<p style="text-align: right;">740</p> <p>1 slopes. They're shown from Photographs 1, 2, 2 7, 13, and 14 of the 2023 Trace report, and, 3 additionally, Photographs 3 and 8 are routes 4 crossing existing steep, unstable coal spoil, 5 similar to the slope failure site of 2015. 6 Q G. FITCH: All right. So we've 7 looked at photo -- we've scrolled through 8 Photos 1 to 3. 9 G. FITCH: If we could just 10 move to 7 -- I think is the next one you wanted 11 the Panel at there -- and then 8 and then 13 12 and 14, please. 13 A Okay. Thank you, Mr. Fitch. 14 Q G. FITCH: You're welcome. 15 A Other best management practices include the use 16 of unspecified sediment control measures, 17 reliance on infiltration to avoid overland 18 flow, and the expectation that, I quote: 19 (as read) 20 Overland flow is not anticipated due 21 to vegetation cover and precipitation 22 levels typical of the area. 23 End of quote. 24 There is no empirical evidence from 25 monitoring to substantiate that these practices 26 will be effective at preventing erosion and</p>

<p style="text-align: right;">741</p> <p>1 movement of sediment to downstream locations of 2 trout habitat. No long-term precipitation 3 records were provided to substantiate the 4 assertion overland flow would not occur, 5 especially with the extreme rainfall events as 6 we've seen in 2013, rapid snowmelt, or rain on 7 snow events.</p> <p>8 The reality is that newly graded access 9 roads will continue to intercept overland flow, 10 increase erosion, and transport of sediment to 11 watercourses that these roads intersect with.</p> <p>12 G. FITCH: And if we could now 13 call up the visual aids for Mr. Fitch's 14 presentation and go to PDF 4.</p> <p>15 A So this is a coal exploration road. This is on 16 Cabin Ridge. It was built on top of -- or it 17 was -- an old logging road was improved to 18 construct this now upgraded coal exploration 19 road. So it is an example of the requirements 20 to meet the needs of heavy equipment and safety 21 on coal exploration roads.</p> <p>22 Thank you, Mr. Fitch.</p> <p>23 G. FITCH: Thank you. We can 24 just leave it up. That's okay.</p> <p>25 A So literature references provide information 26 that unpaved roads are major sediment sources,</p>	<p style="text-align: right;">742</p> <p>1 increasing landslide erosion rates 10 to 2 300 times, and sediment production rates in 3 order of magnitude are more than unaffected 4 slopes. This is referenced in determining 5 appropriate nutrient and sediment loading 6 coefficients for modelling effects of change in 7 land use and land cover in Alberta watersheds.</p> <p>8 Unpaved logging roads equivalent to mine 9 roads under heavy use -- there's more than four 10 trucks per day -- generated 500 tons of 11 sediment per road kilometre per year and 12 delivered 70,000 kilograms per hectare of 13 sediment per road. This is referenced in 14 Cederholm et al., 1980.</p> <p>15 G. FITCH: And if we could now 16 go to PDF page 5, please.</p> <p>17 A So this is -- this is a series of photographs 18 from one site on Gold Creek. Gold Creek flows 19 on the east flank of Grassy Mountain. I was 20 there during a 25-minute rain shower, and over 21 a 10-minute time span from virtually crystal 22 clear water, the turbidity changed to what you 23 see there.</p> <p>24 So I'm -- I'm not suggesting that -- or I 25 am suggesting that these are not trivial events 26 to the biota of these streams. And if you keep</p>
<p style="text-align: right;">743</p> <p>1 the image in the lower right-hand corner in 2 your mind, I'll get Mr. Fitch to change to the 3 next slide.</p> <p>4 G. FITCH: PDF 2, please.</p> <p>5 A For another environmental investigation, I 6 constructed these turbidity examples. These 7 are total suspended solids from zero to 8 5,000 milligrams per litre. And so as -- if 9 you can remember from the slide in the lower 10 right-hand corner of the previous image, the 11 turbidity would have been quite high in Gold 12 Creek following that rainstorm event.</p> <p>13 I would point out that concentrations of 14 100 milligrams per litre of total suspended 15 solids had been found to impair survival of 16 juvenile trout. So, again, these are not 17 trivial events to the biota of these streams.</p> <p>18 Thank you, Mr. Fitch.</p> <p>19 Q G. FITCH: Thank you.</p> <p>20 A In the analysis of extreme flow events and 21 maximum probable floods, the probability of 22 multiple extreme rainstorm events close 23 together and possibly coupled with rain-on-snow 24 events does not seem to have been taken 25 seriously in assessment of erosion from roads 26 in the coal exploration program or in any</p>	<p style="text-align: right;">744</p> <p>1 mitigative strategies.</p> <p>2 G. FITCH: If we could just 3 pull the same document up, please, and go to 4 PDF 6.</p> <p>5 A So this is the Lions or the Sartoris Road south 6 of Blairmore. It traverses south of Blairmore 7 into the Carbondale River drainage. This is a 8 road washout from the 1995 flood event, again, 9 showing the magnitude of some of these rainfall 10 events and what the implications are for 11 erosion and sediment transport downstream.</p> <p>12 Thank you, Mr. Fitch.</p> <p>13 The reality is that all roads erode, and 14 many intersect with watercourses whether they 15 have seasonal, intermittent, or permanent 16 flows. Erosion from these roads is not a 17 trivial issue given the threatened status of 18 trout in the receiving waters.</p> <p>19 "Best management practices" is a term meant 20 to provide some assurance that a high degree of 21 due diligence has been applied to a land use 22 activity. Rather than the descriptive of 23 "best", it might be better to consider these as 24 "standard" or "minimum" practices.</p> <p>25 I have observed the use of these standard 26 or minimum management practices for erosion</p>

<p style="text-align: right;">745</p> <p>1 control, including cross-trenching, berming, 2 culvert installation, and use of sediment 3 fencing. With few exceptions, these have 4 short-term effectiveness, fail quickly, are 5 rarely maintained or repaired, and downstream 6 water quality inevitably diminishes. 7 Acute and chronic erosion are prevalent on 8 most. 9 G. FITCH: And if we could go 10 back to the visual aid, please, and go to 11 PDF 3. 12 A This, again, is a coal exploration road on 13 Cabin Ridge. The downstream effective erosion 14 and the delta of sediment that has come off the 15 road. The sediment curtain is, if not 16 overwhelmed, soon to be overwhelmed by that 17 sediment load, and, based on several field 18 trips to this site, was never maintained, the 19 sediment never removed, the sediment fence 20 never fixed. And so it leads me to believe 21 that these are not effective measures to 22 prevent sediment addition to receiving streams. 23 And by the way, just over that bit of 24 greenery past the sediment curtain, past those 25 conifers is a small tributary stream to the 26 Oldman River.</p>	<p style="text-align: right;">746</p> <p>1 Thank you, Mr. Fitch. 2 Q G. FITCH: Thank you. 3 A So ineffective and unmonitored mitigation can 4 lead to the vain hope that we can continue to 5 do everything, everywhere, anytime, and all the 6 time with our development footprint effectively 7 erased behind us. At worst, it creates the 8 impression there's still room for expansion of 9 development, and biodiversity is protected. My 10 review provides substantial insights of issues 11 with mitigation. 12 And so in summary, one of the primary goals 13 should be to provide enough information so that 14 decisions about an activity ensure fish and 15 wildlife populations continue to persist into 16 the future for multiple generations with 17 assurances of resilience to natural and 18 anthropogenic disturbance. 19 The literature is replete with instances of 20 problems with mitigation and reclamation, of 21 failures, lack of compliance, inability to 22 replicate habitat structure and function, and 23 monitoring gaps with mitigation plans. 24 Now I'd like to turn to and make some 25 comments on species-at-risk trout and their 26 habitats.</p>
<p style="text-align: right;">747</p> <p>1 Bull trout and westslope cutthroat trout 2 have spatially restrictive biology requirements 3 at individual and population levels and are 4 vulnerable to human disturbances beyond the 5 range of natural variation to their habitat. 6 Biological adaptation cannot keep pace with an 7 increasing land use footprint and human 8 activity that changes stream discharge 9 patterns, removes riparian vegetation, modifies 10 habitat conditions, substantially increases the 11 discharge of sediment into watercourses, and 12 results in additional disturbance to trout. 13 Each unit of habitat -- the sum of 14 appropriate water quality, quantity, and 15 temperature, along with abundant overhead and 16 instream cover, clean substrate, and riparian 17 shading -- is capable of producing and 18 sustaining a number of units of trout. Any 19 activity that changes, reduces, or eliminates 20 units of habitat effectively kills fish because 21 it removes the potential for fish to exist. 22 That activity can occur at local 23 stream-side scale or at a watershed scale in 24 headwaters tributaries such as those crossed by 25 coal exploration roads. The suggestion by 26 Trace consultants that no trout critical</p>	<p style="text-align: right;">748</p> <p>1 habitat will be affected by exploration 2 activities ignores downstream effects. 3 This is why bull trout and westslope 4 cutthroat trout are currently threatened, and 5 the persistence of the issues that cause their 6 declines will tip the scale into an endangered 7 category. Human activities that reduce 8 survival rates increase the likelihood of 9 local -- that is, populations in Blairmore, 10 Gold, and Daisy Creek, and eventually at a 11 watershed scale to be extirpated. Provincial 12 fisheries biologists have used a fish 13 sustainability index to assess the status of 14 cutthroat trout in Blairmore and Gold Creeks as 15 being at very high risk. 16 I provided in my review references that 17 unequivocally point out the issues of sediment 18 from paved roads and the implications to trout 19 habitat and population security and resilience. 20 The issues are watershed in scale since the 21 current road density for the Northback property 22 and adjoining coal lease area is 4.2 kilometres 23 per kilometre squared. 24 Q Thank you. 25 G. FITCH: And if we can just 26 now turn to PDF 1 in this document we've</p>

<p style="text-align: right;">749</p> <p>1 currently got up.</p> <p>2 A Madam Chair and Panel Members, this gives you a</p> <p>3 visual -- visual indication of what linear</p> <p>4 density looks like. The current one for the</p> <p>5 Grassy Mountain site is 4.2 kilometres per</p> <p>6 kilometre squared. Ecological research for a</p> <p>7 variety of species but certainly for native</p> <p>8 trout indicates that we should not exceed</p> <p>9 0.6 kilometres per kilometre squared of linear</p> <p>10 road density to allow the survival into the</p> <p>11 future of those species.</p> <p>12 Thank you, Mr. Fitch.</p> <p>13 Q G. FITCH: Thank you.</p> <p>14 A The crossing of tributary streams, even of</p> <p>15 femoral ones, by vehicles creates issues of</p> <p>16 downstream fish populations and fish habitat,</p> <p>17 causing harm or disruption. These include</p> <p>18 physical changes to aquatic and riparian</p> <p>19 habitats at or near the crossing sites.</p> <p>20 Additional erosion adds sediment to the aquatic</p> <p>21 environment in excess of what the natural</p> <p>22 background level is from the watershed.</p> <p>23 The effects of deposited sediment on the</p> <p>24 physical habitat of trout include the infilling</p> <p>25 of the interstitial spaces between substrates</p> <p>26 of gravels, cobbles, and larger materials,</p>	<p style="text-align: right;">750</p> <p>1 which reduces and/or eliminates the spaces</p> <p>2 essential for aquatic invertebrates, which are</p> <p>3 trout food, and for juvenile trout to rear and</p> <p>4 defined overwinter cover; the cementing of</p> <p>5 larger substrate together by sediment creates</p> <p>6 problems for spawning fish, for eggs incubating</p> <p>7 when flows through the gravels are blocked, and</p> <p>8 for the inability of fry to emerge; reductions</p> <p>9 in water depth in pools, including loss of</p> <p>10 pools and instream cover, which decreases the</p> <p>11 physical space available for juvenile and adult</p> <p>12 fish for critical rearing times and for</p> <p>13 successful overwinter conditions; sediment</p> <p>14 accumulating on the surface of substrate</p> <p>15 materials has been shown to have a smothering</p> <p>16 effect on trout eggs and young fish as well as</p> <p>17 aquatic invertebrates.</p> <p>18 So in summary, a less than robust</p> <p>19 assessment of the risks of this coal</p> <p>20 exploration program for water quality,</p> <p>21 quantity, and trout habitat is an example of</p> <p>22 the issues confronting species-at-risk trout</p> <p>23 and leading to continual declines in</p> <p>24 populations.</p> <p>25 So my overall summary is: The nature of</p> <p>26 the Trace assessment lacks robustness to</p>
<p style="text-align: right;">751</p> <p>1 provide enough information upon which you, the</p> <p>2 regulator, can make a fully informed decision</p> <p>3 about the coal exploration application and the</p> <p>4 possible effects on biodiversity and water</p> <p>5 quality. The level of review provided in the</p> <p>6 Trace report is substantially deficient to</p> <p>7 assess the full range of potential impacts to</p> <p>8 biodiversity, especially species at risk and</p> <p>9 water resources issues.</p> <p>10 The insights provided in my review suggest</p> <p>11 the Alberta Energy Regulator should seriously</p> <p>12 consider if the Trace predisturbance site</p> <p>13 assessment provides enough or any useful</p> <p>14 information upon which to base a decision to</p> <p>15 approve the proponent's coal exploration</p> <p>16 program. Based on this review, my</p> <p>17 recommendation is to reject the application.</p> <p>18 Thank you very much.</p> <p>19 Q Thank you, Mr. Fitch. I just have a couple of</p> <p>20 follow-up questions for you.</p> <p>21 You -- I think you were tuning in on the</p> <p>22 livestream earlier, and you may have heard that</p> <p>23 Northback has given evidence in this proceeding</p> <p>24 that since 2013 they have drilled</p> <p>25 199 exploratory wells. In your opinion, sir,</p> <p>26 given this number of wells, is it likely that</p>	<p style="text-align: right;">752</p> <p>1 there have been adverse cumulative effects on</p> <p>2 the critical habitat of westslope cutthroat</p> <p>3 trout in Blairmore Creek and Gold Creek?</p> <p>4 A These are additive and, by association,</p> <p>5 cumulative impacts, adding to the sediment</p> <p>6 burden that the streams of Blairmore and</p> <p>7 Gold Creek and perhaps Daisy Creek are now</p> <p>8 sustaining. Reading through Mr. Cooke's report</p> <p>9 on legacy coal mining activities, he notes the</p> <p>10 total suspended solids in Gold Creek and</p> <p>11 Blairmore Creek have increased on Grassy</p> <p>12 Mountain, and that would be an indication, I</p> <p>13 think, of the additive effects of those</p> <p>14 additional coal exploration activities.</p> <p>15 Q Thank you.</p> <p>16 And, finally, sir -- and I don't think we</p> <p>17 need to pull it up, but in paragraph 61 of your</p> <p>18 report, you mention that one of the pit lakes</p> <p>19 had an introduced population of brook trout.</p> <p>20 You recall including that in your report?</p> <p>21 A Yes.</p> <p>22 Q Okay. And in response -- and I believe you</p> <p>23 read this -- Northback asserted that you</p> <p>24 provided no data in support of that statement.</p> <p>25 Do you have any data to support that statement?</p> <p>26 A Yes. When I did the biological surveys of Gold</p>

<p style="text-align: right;">753</p> <p>1 and Blairmore Creek, I was alerted to the fact 2 that fish might be present in some of these 3 mine lakes -- mine pit lakes. And so I set a 4 test net in the largest one in 1976 and caught 5 brook trout. 6 It was asserted that brook trout couldn't 7 survive in these mine pit lakes because there 8 was no overland flow in which brook trout could 9 spawn. Brook trout have the ability to spawn 10 in upwelling spring flows, which they do in 11 several alpine lakes, and so it's possible that 12 brook trout may still be present in some of 13 these mine pit lakes. 14 Q Thank you. 15 All right. I'm going to move to you now, 16 Dr. Stelfox. And I'll just have you confirm, 17 firstly, that you were retained by the 18 Livingstone Landowners Group back in, I 19 believe, 2018 to prepare a study to assess the 20 watershed scale consequences of surface coal 21 mine in the headwaters of the Oldman River 22 watershed? 23 A B. STELFOX: Yes. 24 Q You're going to have to pull -- sit closer to 25 the mic, sir. 26 A That's correct.</p>	<p style="text-align: right;">754</p> <p>1 Q And you completed that study which is dated 2 June 2021? 3 A Correct. 4 Q Okay. And you can confirm that you were asked 5 by the LLG to present some of the findings of 6 that study to the Panel here today? 7 A Correct. 8 G. FITCH: Okay. And for the 9 record, Madam Chair, Panel Members, the study 10 in question is attached as Appendix B to the 11 Livingstone Landowners Group written 12 submissions of October 2nd, 2024. So that's 13 Exhibit 84.01, and the study commences at 14 PDF 67. 15 Q G. FITCH: Dr. Stelfox, we'll 16 get to the study in a moment, but can you 17 confirm that the study is accurate and true to 18 the best of your knowledge and belief? 19 A I can. 20 Q And do you adopt it as your evidence in this 21 proceeding? 22 A I do. 23 Q And can you confirm, sir, that your curriculum 24 vitae has been filed in this proceeding and, 25 for the record, that's Exhibit 108.1? 26 A I can.</p>
<p style="text-align: right;">755</p> <p>1 Q Okay. Thank you. 2 And does it accurately set forth your 3 experience and qualifications? 4 A I believe it does. 5 Q Okay. And, sir, finally, as an expert witness 6 providing opinion evidence to the regulator, 7 you confirm you are obligated to be 8 independent, objective, and impartial? 9 A I can. 10 Q Okay. And you have prepared a PowerPoint 11 presentation to walk the Panel through, I 12 guess, the highlights of your very lengthy 13 study. So if we can pull that up now. And I'm 14 going to ask you to present your presentation 15 to the Hearing Panel. 16 A Thank you, Mr. Fitch. And because of some 17 eyesight problems, I'm going to ask my 18 colleague Lorne to advance the slides. And I 19 very much appreciate the opportunity to talk to 20 the Panel and participants at the hearing. 21 So the study that I'm going to talk about, 22 and the one that Mr. Fitch is referring to, was 23 commissioned by the Livingstone Landowner Group 24 who had expressed concern about the 25 consequences of large-scale surface mining of 26 coal proposed in the headwaters of the Oldman</p>	<p style="text-align: right;">756</p> <p>1 River watershed basin. Now, these new proposed 2 mines represent an abandonment of the 3 Loughheed-era coal policy that previously had 4 prohibited coal mining in Category 2 lands of 5 Alberta's east slopes. 6 Now, the range of LLG's concerns were very 7 broad, but their central focus for this project 8 was on water quality and, specifically, 9 selenium; water quantity; the difference 10 between supply and demand; and threatened fish 11 species, particularly westslope cutthroat 12 trout. This conservation really depends on 13 watershed integrity which has been very well 14 discussed by my colleague, Mr. Lorne Fitch. 15 Now this talk is a very short overview of 16 the key project findings, and they're, of 17 course, described in detail for the report that 18 has been provided to the committee. 19 Next. I'm a retired landscape ecologist. 20 Q Just before you carry on, we don't seem to be 21 advancing -- the slide did not advance. 22 A Let's see if -- I think you have to scroll it. 23 Let's see if you do it -- this. Let's see. I 24 think we're going to pass it back to you. 25 Q Do you need the -- 26 A No, that's -- thanks a lot.</p>

<p style="text-align: right;">757</p> <p>1 Q All right. We've worked out the logistics. 2 Carry on -- 3 A Yeah. I'm a landscape ecologist with the ALCES 4 Group, and over the past 30, 35 years, I have 5 completed a broad array of cumulative effects 6 assessments on landscapes that are dealing with 7 multiple overlapping land uses and built 8 technology that allows stakeholders to 9 understand the benefits and liabilities of 10 these multiple overlapping land uses, whether 11 they be social or economic or environmental 12 indicators. So that has given me the 13 opportunity to conduct several dozen projects 14 in Alberta, United States, Australia, and 15 Malaysia, including projects in each of those 16 landscapes involving coal mining. 17 So my specialty is that of a systems 18 dynamist looking at the discipline of 19 cumulative effects, and it's through that lens 20 which I examined these studies. 21 And so the report that I'm going to present 22 on behalf of my colleague, Dr. Bill Donahue, 23 will focus on that. 24 Next slide. And I'll mention slide numbers 25 for referencing. 26 So Grassy Mountain, which is clearly the</p>	<p style="text-align: right;">758</p> <p>1 focus of this hearing, is found within the 2 headwaters of the Oldman River watershed in 3 southwest Alberta, as we can see in the image 4 to the left. Coal mine activities, whether 5 they be exploration, extraction, or 6 reclamation, clearly can affect terrestrial 7 land, air, and water indicators not only in the 8 site itself but in much of the basin if not all 9 of the basin, either downwind or downstream. 10 Now, this watershed -- it's about 11 26,000 square kilometres -- currently has a 12 population of about 180,000 people, growing at 13 about 2 percent per year, and a significant 14 diversity of land uses, including cattle 15 production. There's about 1.1 million head, 16 animal units of cattle in this basin and an 17 extensive array of dryland farming irrigation 18 and footprints of the residential, industrial, 19 recreation tourism sectors. It's a busy 20 landscape, particularly the downstream 21 components of this landscape. 22 Now, its human populations and land uses 23 have grown in the basin over the past century. 24 Citizens of this basin are increasingly 25 recognizing the critical need to discuss limits 26 to all land uses and to carefully assess both</p>
<p style="text-align: right;">759</p> <p>1 the benefits and liabilities of each new land 2 use. And to do so requires a system-based 3 cumulative effects approach, which looks at a 4 broad range of indicators and a broad range of 5 scenarios. 6 What happens if certain new land uses are 7 admitted at low levels? Medium levels? High 8 levels? There's only one landscape; there's 9 only one watershed. All these land uses are 10 interacting with each other. 11 And this is what the Alberta land use 12 framework was intended to deliver. This 13 hearing, which I believe lists its limited 14 scope in both time and space and what I've 15 considered to be an incomplete list of 16 indicators, clearly violates all reasonable 17 criteria of cumulative effects assessment and 18 ensures that the citizens of the Oldman River 19 basin and those of all Alberta will not gain 20 robust insight into both the benefits and the 21 liabilities of a large reasonable coal mining 22 narrative in southwest Alberta. 23 Water, both quality and quantity, is of 24 highest concern to the Livingstone Landowners 25 Group, to the residents of the basin, and 26 illustrates to me why a proper cumulative</p>	<p style="text-align: right;">760</p> <p>1 effects approach is required. 2 Next slide, please. 3 We need to remind ourselves that the Oldman 4 River basin in Alberta is a headwater of a much 5 bigger basin that includes Saskatchewan and 6 Manitoba with about 1.6 million people on that 7 landscape and a multi-multi-billion-dollar 8 array of land uses that are completely 9 dependent on water quality and water quantity. 10 Next slide, please. Slide 5. 11 So the Alberta land use framework indicates 12 the need to adopt a cumulative effects approach 13 to land use. This would allow stakeholders to 14 better understand, again, these benefits and 15 liabilities, and this has largely been ignored 16 today. 17 Now, if we look at these images -- and here 18 we're looking at the headwaters of the Oldman. 19 On the satellite image on the right shows in 20 green eight proposed coal mines, which is -- 21 which have -- two years ago have been formally 22 disclosed, leases have been bought, recoverable 23 volumes of coal had been identified, and risk 24 capital had been secured or was being secured 25 to move these projects forward for coal mining. 26 Those are the ones that are in bright green.</p>

<p style="text-align: right;">761</p> <p>1 That's in the headwaters of the Oldman River 2 drainage basin. 3 That very white thin line from top to 4 bottom is the Continental Divide. That's what 5 separates Alberta from BC. To the left of the 6 divide in red -- I can't see it 'cause of my 7 eyes, but I'm hoping you can -- are the 8 existing coal mines in the Elk Valley that have 9 been mined by Teck and its successor and 10 predecessors. 11 It's important to understand that the scale 12 of the area and coal on the Alberta side is 13 approximately the same as has occurred 14 historically in the last five decades in the 15 Elk Valley. So there are 1.7 billion tons of 16 known coal reserves in the headwaters of the 17 Oldman. That's why those eight proposals 18 exist. 19 As of 2022, there are eight coal leases 20 shown in green. In total, these -- these 21 mines, if approved, would conduct coal mining, 22 largely mountain-top removal of these headwater 23 basins and would create a direct footprint of 24 90 square kilometres, or 9,000 hectares, and 25 extract approximately 700 million met ton of 26 coal over a five-decade period.</p>	<p style="text-align: right;">762</p> <p>1 To produce this coal, they would need to 2 remove approximately 6 billion ton of 3 overburden rock. Collectively, these 4 activities would profoundly reshape the 5 regional topography of these basins by removing 6 mountain tops and filling valleys. 7 Now, the amount of area affected and coal 8 produced in the headwaters of the Oldman 9 watershed would be very similar, as I said, to 10 the scale we've already seen in the Elk Valley, 11 which we see to the west. 12 The Elk Valley, therefore, provides a very 13 useful template in understanding how this scale 14 of coal mining are going to affect key 15 environmental, social indicators. 16 So in 2020 to 2021, the ALCES Group in 17 conjunction with colleagues at the Integrated 18 [sic] Ecology Group and MacHydro conducted a 19 cumulative effects framework study to assess 20 the consequences of different levels of coal 21 mining, and what we did is we said, Okay. 22 Let's run these with no coal mining at all -- 23 that's low -- a meeting scenario where we let 24 the Grassy Mountain and Tent Mountain proposal 25 go forward and a high scenario where all eight 26 mines proceeded in a staggered fashion.</p>
<p style="text-align: right;">763</p> <p>1 Next slide. 2 Now, before we get into those results, it's 3 critical to understand a little bit about 4 plumbing in this -- in this watershed. The 5 maps you see are the Oldman River watershed. 6 Elevations to the left, temperature in the 7 middle, and precipitation to the right. 8 So if we were to walk from the right to the 9 left, from east to west, we would see a 10 profound increase in elevation, profound climb 11 in temperature, and a profound increase in 12 precipitation. So we have all of these 13 moisture-laden air masses coming into Alberta 14 from the Pacific Coast, and as they go over to 15 the Continental Divide, they drop 16 precipitation. And almost all of it is in the 17 headwaters. 18 Next slide, please. 19 The image on the left prepared by Stefan 20 Kienzle at the University of Lethbridge does a 21 good job of illustrating the amount of water 22 contributed to the flow in the basin. Now, 23 blue is high; red is low there. And, again, 24 basically shows us that about three quarters of 25 all water that rolls off that basin is coming 26 from about one fifth of that landscape. So it</p>	<p style="text-align: right;">764</p> <p>1 cannot be more clear how important the 2 headwaters are to the production of water at 3 every single one of those land uses, 4 agriculture. Whether it be on the grazing 5 side, on the cattle side, or crop side, people, 6 industry, mining, and all others require water 7 of adequate quality and quantity. So there's 8 no confusion as to where that water is coming 9 from. 10 If we shift to the image on the right, 11 we're not looking at water supply. We're going 12 to turn to water demand. Blue is low; red is 13 high. This basin has a significant demand for 14 water, all over a billion cubic metres of water 15 per year, and almost all that demand is in the 16 downstream component of the basin. 17 So any land use or event that interferes 18 with water quality or quantity will have 19 detrimental effects on all downstream water 20 users, and, of course, as mentioned, that's not 21 defined to Alberta. It includes Saskatchewan 22 and Manitoba. 23 Next slide, please. Slide 8. 24 So what we see here is a dendritic network 25 of streams, rivers, reservoirs, and canals that 26 deliver water from these headwaters to a large</p>

<p style="text-align: right;">765</p> <p>1 and thirsty downstream array of land uses, and 2 hopefully you can see on the map on the left 3 just how many essentially tens of thousands of 4 kilometres of creeks that drain the headwaters, 5 collectively joining and producing the Oldman 6 River. 7 So anything that happens in these 8 headwaters that roll off the landscape, as 9 Lorne Fitch was describing, will move 10 progressively downstream. 11 The middle -- image in the middle, we get 12 to see, again, the high headwaters. These 13 water towers, rain barrels essentially, that 14 get most of the precipitation in the winter, 15 melts in the spring, rolls off through these 16 rivers, filling up these reservoirs, and then 17 moving out the basin into Saskatchewan and 18 Manitoba or moving through canals and providing 19 the critical water to all the land uses. Of 20 course, agriculture is by far the dominant use 21 of water, particularly irrigation. 22 Next slide. 23 So we'll go back to a little bit of math 24 just so we can understand why we've got a 25 supply, demand, and balance problem. 26 If you could measure all the precipitation</p>	<p style="text-align: right;">766</p> <p>1 that falls in the basin no matter where, on an 2 average year, it would be about 12 billion 3 cubic metres. More important in that is the 4 variance. They can range from 8 to 16. There 5 is profound year-to-year variation in 6 precipitation. 7 Now, our land uses, when we build them, 8 generally require about the same amount of 9 water each and every year. Maybe it's growing 10 at 1 or 2 percent, for an example, with human 11 populations. But the supply is not constant. 12 It's highly variable. 13 Now of the 12 billion cubic metres that 14 falls in the basin, only one quarter will make 15 its way into the large rivers. The other three 16 quarters are lost through evaporation. So that 17 leaves us with about 3.2 billion cubic metres, 18 and for our naturalized flow in any given year, 19 we owe half of that to Saskatchewan. That's 20 1.6 billion. So that leaves about 1.6 billion 21 cubic metres of water that is available on an 22 average year. In an average year or a mean 23 year is largely meaningless because water's so 24 darn variable in terms of its precipitation. 25 So if we looked the bottom, we can see that 26 our current allocations are not 1.6 billion</p>
<p style="text-align: right;">767</p> <p>1 cubic metres; they're 2. We're already 2 allocating more water than we have to use in 3 the average year. 4 Now, fortunately, not all allocated water 5 is used, and the current amount of use is about 6 1.3 billion cubic metres, and you can see the 7 relative importance of irrigation, municipal, 8 which is largely people, and livestock. 9 So the point here is the supply of water is 10 unpredictable, highly variable, and those are 11 looking at historical data trends largely 12 before the magnitude of droughts that we 13 anticipate under climate change scenarios, 14 which are going to increase in frequency and 15 magnitude. 16 There's a lot of water demand relative to 17 supply. 18 Arguably, we're already overallocated, and 19 that's why this basin was closed in 2006. 20 Next slide, please. This will be Slide 10. 21 Here we're looking at approximately 22 100 years of data in the Oldman River at the 23 location of Lethbridge. In red is the amount 24 of actual flow, recorded flow. In blue is -- 25 is the -- what we would consider to be the 26 naturalized flow, which would be how much water</p>	<p style="text-align: right;">768</p> <p>1 would have flown -- flowed through those rivers 2 if humans were not removing it. 3 The reason I wanted to put this slide in is 4 just again to have people understand just how 5 much variation in water availability there is 6 year to year, decade to decade and that this 7 area is prone to significant droughts. In 8 fact, over the last 100 years, it could be 9 argued, as David Schindler and Bill Donahue and 10 Dave Sauchyn have, that it's been a century of 11 significantly constant water relative to what 12 could happen if we look back into previous 13 centuries. 14 Okay. So water is highly variable and is 15 likely to become even more variable as time 16 marches on. 17 Next slide, please. Slide 11. 18 Now, here are some simulations that we did 19 that are looking at the water runoff, and we're 20 not looking at difference between years. Now 21 we're looking at an average year. On the left 22 we're looking, I think, at the lower Crowsnest 23 River, and on the right, the Oldman River above 24 the reservoir. And you see this peak in the 25 spring. So we have all this precipitation 26 coming in the winter in the form of snow</p>

<p style="text-align: right;">769</p> <p>1 accumulating, and in the spring, as the 2 temperatures warm, it melts and runs off. 3 Hopefully you can see the black line in 4 both places. That represents the long-term 5 historical average. When we run climate change 6 scenarios, called "representative concentration 7 pathways", we've run two: the high scenario and 8 a medium scenario. "High" would be 8.5, and 9 "medium" is 4.5. This is essentially an 10 expression of energy coming in, which is in 11 watts per square metre, but they're just 12 different climate change scenarios. 13 The 4.5 is considered to be a moderate 14 scenario of future climate in this area, and 15 what we see is a very profound shift in water 16 flow to the left, meaning that this landscape 17 is going to see more and more precipitation 18 that people like Mac Blades would have seen as 19 snow when he was a kid is going to come down as 20 rain. 21 So spring freshet is going to happen 22 earlier. So we're going to have more water in 23 very, very early spring or late winter, but 24 there's only so much water, which means that 25 for the summer months, it's going to be 26 progressively less at a time of year where most</p>	<p style="text-align: right;">770</p> <p>1 of the land uses have the greatest demand for 2 water. 3 Okay. So climate change tells us that 4 water not only is going to become less common 5 because of increased magnitude and frequency of 6 droughts, but it's also going to shift in its 7 monthly distribution and production, and this 8 is going to cause major issues for land users 9 in this basin. 10 Next slide, please. It's going to be 11 Slide 12. 12 So this leads us, by way of background, to 13 the simulations that we wanted to do. So we 14 can show benefits and liabilities. 15 So clearly there are some benefits. 16 700 million metric ton of coal at a nominal 17 rate of, I don't know, a hundred bucks a metric 18 ton. \$70 billion. That's a lot of money. I 19 can see why industry is interested in 20 extracting that resource. There are clear 21 economic benefits. 22 So we need to talk about those. And, in 23 fact, I think by yesterday, as I was listening 24 in, I think Northback made the point in writing 25 and in testimony that exploration really only 26 can be considered in the context of what's</p>
<p style="text-align: right;">771</p> <p>1 downstream, which they clearly, in writing, 2 have indicated logically flows to the 3 production phase. And I think they're wise to 4 make that point. And so will I with respect to 5 environmental effects. 6 It goes back to what Lorne said: If you 7 want to answer these questions, you've gotta 8 look at appropriate space and time, and that's 9 what we're attempting to do here. 10 So we ran a bunch of scenarios. What would 11 happen in the next 50 years if no coal mining 12 went forward? We'll call that "low". What 13 happens if there's a medium amount? Grassy 14 Mountain and Tent proceed. That would 15 generate, I think, a maximum of around 16 4.5 million metric ton per year. What if it 17 was high? What if all eight were to proceed 18 over the next five decades but in a -- in a 19 staggered fashion because there's only so much 20 logistics? You can't have all the mines coming 21 on at the same time. If you did that, what 22 would be the indicators, or what would -- how 23 would that affect key indicators? And, again, 24 going back to LLG, the key issues were: How 25 does it affect water supply? How does it 26 affect water demand? How does it affect water</p>	<p style="text-align: right;">772</p> <p>1 quality, particularly selenium? What's its 2 effect in biodiversity and landscape integrity? 3 So we ran these scenarios to look at these 4 indicators. 5 Next slide, please, which is Slide 6 Number 13. 7 The satellite image -- I should just stop 8 to see if -- am I speaking too quickly? A 9 little bit? Okay. I'll try and slow down. 10 On the left we see the satellite image, 11 reminding us that -- of where the leases and 12 probable mine sites would be. We can see what 13 has already happened over the last five decades 14 in the Elk Valley, and the table identifies 15 each and every one of the eight mines and how 16 they fit into the low, medium, and high gross 17 scenarios and lays out the lease area, the 18 cumulative disturbance, the proposed lifespan, 19 their average annual coal production, the 20 maximum coal production, the cumulative coal 21 production, and what they think their proven 22 reserves were. 23 These are some of the thousands of inputs 24 that went into the cumulative effects model to 25 grow these mines. Now, would our simulations 26 be precisely accurate as to exactly which mines</p>

<p style="text-align: right;">773</p> <p>1 come on on which day and how much they produce? 2 And the answer is clearly not. 3 Is it a reasonable depiction at a strategic 4 level of a large regional coal mining 5 trajectory in southwest Alberta at the 6 headwaters of the Oldman? Yes. It takes the 7 best available information and projects it into 8 the future and examines the consequences. So 9 let's look at some of those. 10 Next slide, please, which is Slide 11 Number 14. 12 So this is a satellite image of the Oldman 13 basin, and in yellow, if you squint, you can 14 see as of today, we have footprint on Tent 15 Mountain and a larger -- to the northeast on 16 Grassy. So there already is footprint, and 17 Lorne Fitch described that footprint, which is 18 a product of historical mining and more recent 19 exploration. So we already have a footprint. 20 Having said that, area where the regional 21 landscape or regional land use trajectory coal 22 mining can unfold is some of the best remaining 23 native habitat and connectivity of headwater 24 ecosystems that we have in all of southwest 25 Alberta. 26 So let's time travel ahead. Next slide.</p>	<p style="text-align: right;">774</p> <p>1 We'll zoom in a bit too here to make it a 2 little bit easier. And, again, we can see -- 3 we can see Grassy, and I think if we zoom up, 4 yeah, we can see Tent there too. And on the 5 right, we see a trajectory, and this is not net 6 landscape disturbance, so this is cumulative. 7 So there's also reclamation occurring in 8 this -- this particular image is not showing 9 the reclamation. We'll talk about that later. 10 Okay. So that would basically be kind of 11 the middle of the first decade, and this'll be 12 a five-decade run. 13 So we'll go the next one. All I'm trying 14 to do is help people understand the visuals 15 here. We're now in the middle of Decade 2. 16 And Tent and Grassy are being developed, and 17 we're beginning to see some of the next mines 18 unfold to the north. 19 We'll then go forward to the next slide, 20 which is Decade 3. And then Decade 4. And 21 Decade 5. And to the end of Decade 5, which is 22 basically the beginning of Decade 6. 23 So what we're seeing is the unfolding. 24 We're keeping track of everything basically at 25 a square-metre resolution of 93 square 26 kilometres of direct footprint tied to surface</p>
<p style="text-align: right;">775</p> <p>1 mining and its associated infrastructure. 2 9,300 hectares. And if we want to know what 3 that looks like, all we'd have to do is move a 4 few kilometres to the west and see essentially 5 the same magnitude and scale of footprint in 6 the headwaters of the Elk Valley. 7 So that is the amount of footprint that 8 would be required to extract about 700 million 9 metric ton of coal. 10 Next slide, please. 11 So when you see these graphs, the one 12 that -- at least for my eyes -- that is orange, 13 that's Grassy Mountain, which, of course, is 14 the key issue that people are considering here 15 today, and the left page is the moderate. So 16 that's only Grassy and Tent. Tent is in grey; 17 Grassy is in orange. And here we're looking at 18 coal production. And so we see -- my eyes are 19 not great -- that Grassy is going to produce 20 somewhere around 4 million metric ton per year 21 over 20, 25 years; Tent, less. And on the 22 right we see each of the different mines as 23 they unfold in a staggered way, maxing out at 24 about 25 million metric ton per year in a 25 couple of decades and up to a cumulative of 26 about 700 million metric ton over five decades.</p>	<p style="text-align: right;">776</p> <p>1 Next slide, please. So that is, what? 2 Arguably \$70 billion worth of coal. 3 Now, to get it out, you have to disturb 4 part of the landscape, and on the left again, 5 we see Grassy and Tent -- that's a medium 6 scenario -- and it would generate a direct 7 cumulative footprint of about 12 square 8 kilometres, about 1,200 hectares. If all the 9 mines go forward, it would be about 9.3 square 10 kilometres, 9,300 hectares. That is a 11 significant fraction of the total headwaters of 12 these basins. 13 Okay. So to get coal out, you have to 14 disturb large amounts of area, but at the same 15 time, there's also reclamation. So we need to 16 talk about that here in a few minutes. 17 Next slide, please, which is 18 Slide Number 23. 19 And this is critical to understand from an 20 environmental standpoint. I understand how 21 coal generates jobs and royalties and rents, 22 but from an environmental standpoint, the 23 issues are water. 24 And coal isn't the big problem here. It's 25 the overburden to get the coal out. 26 So for every, say, cubic metre or metric</p>

<p style="text-align: right;">777</p> <p>1 ton the coal removes in this area, you've got 2 to disturb about nine times that in terms of 3 overburden; in some of these mines much less, 4 and others much higher. So you have to produce 5 this waste rock, and for the medium scenario, 6 about 800 million metric ton of waste rock, but 7 if the full scenario goes forward, we're 8 dealing with about 6 billion cubic metres of 9 waste rock. Now, that waste rock, which right 10 now sits as largely a consolidated block of 11 rock -- it's not without some seams, but it's 12 largely consolidated rock. We call them 13 mountains. 14 Next slide, please. 15 I think everyone in this room recognized 16 Crowsnest Mountain. A little bit to the west 17 of Grassy. That mountain within 10 percent is 18 1 kilometre by 1 kilometre by 1 kilometre. 19 It's one cubic kilometre. Grassy Mountain and 20 Tent Mountain -- I say let me back up. 21 A kilometre by a kilometre by a kilometre 22 is one cubic kilometre. Crowsnest Mountain is 23 1.23 cubic kilometres. It's a little bit 24 bigger. It's also almost identically the 25 volume of Grassy and Tent Mountain. It's a 26 massive amount of rock. That is what would</p>	<p style="text-align: right;">778</p> <p>1 have to be removed in terms of the overburden, 2 plus the coal, give or take. 3 Now, if the high scenario goes forward, 4 it's not one Crowsnest Mountain; it's 5 5.2 Crowsnest Mountains. It's significant. 6 But it's not the volume that's the concern 7 here; it's the surface area. 8 So to remove that burden -- or to remove 9 that overburden, you have to break it up into 10 small pieces. Let's say it's 1 metre by 1 11 metre by 1 metre, a cubic metre, which I think 12 is generous. There'll be some that'll be 13 bigger, but most of those particles will be 14 much smaller. And that overburden, once it 15 becomes basically exploded, you know, through 16 nitrogen, once it becomes exploded overburdened 17 rubble, we'll see a 1,000 time increase in 18 surface area. 19 So Crowsnest Mountain right now is about 4 20 to 5 square kilometres -- I'm not talking about 21 volume now; talking about surface area -- 4 to 22 5 kilometres, if you could measure every 23 square -- every, essentially, square inch or 24 square centimetre and add them all together. 25 And let's say it's 5 square kilometres. After 26 that Grassy Mountain equivalency has been</p>
<p style="text-align: right;">779</p> <p>1 removed, the overburden, what we're left with 2 is not 5 square kilometres, but 5,000 square 3 kilometres of surface area. 4 So why is that important? And the answer 5 is that coal, which is a sedimentary 6 material -- it's basically ancient sunlight in 7 the form of compressed plant material -- that's 8 all sedimentary, but inside of it is imbedded 9 an immense amount of pyrite. And pyrite likes 10 to attract selenium. 11 If you then -- but that selenium will stay 12 with the pyrite unless you break it up and 13 subject it to water and air, in which case it 14 can mobilize. As long as there's water moving 15 through, that selenium mobilizes with it. And 16 what determines the rate at which selenium 17 mobilizes from rock is surface area. So we're 18 talking about a 1,000 time increase in surface 19 area at any scale, whether it's one mine or two 20 or -- or -- or ten. 21 So that is the key issue, is once we take 22 this overburden off and crumple it up into a 23 bunch of rubble, it has the capacity to move a 24 lot of selenium. And, in fact, it can do that 25 even without coal mining. 26 But we just can rapidly increase it. And</p>	<p style="text-align: right;">780</p> <p>1 maybe it's worth reminding that selenium is 2 actually a critical element, micronutrient 3 essentially. None of us can be alive without 4 it. Same with our plants, same with our 5 livestock. So we need it. 6 But at excessively high concentrations, 7 it's highly toxic, whether it's aquatic 8 invertebrates, whether it's livestock or 9 people. Some of these indicators, like aquatic 10 benthic invertebrates, are highly -- 11 THE COURT REPORTER: Can you slow down a 12 little bit, please? 13 A Thank you. 14 Some of these indicators like the mayflies 15 that -- and stoneflies, caddisflies that Lorne 16 was talking about are highly sensitive. So are 17 salmonids, like westslope cutthroat trout. 18 People are far less sensitive; livestock 19 are less sensitive. But we still are sensitive 20 to selenium if the concentrations are too high. 21 Okay. Can we go to the next slide, please? 22 So using the equations that are used in Elk 23 Valley to understand selenium, we would be 24 liberating just with Grassy about 2-and-a-half 25 metric ton of mobilized selenium per year. 26 Cumulatively over five decades, about a hundred</p>

<p style="text-align: right;">781</p> <p>1 metric ton.</p> <p>2 Under the high case scenario, at the end of</p> <p>3 the simulation, we'd be at 10 ton per year, and</p> <p>4 cumulatively about 250 metric ton of selenium.</p> <p>5 This is what we'll call "load". Now, the</p> <p>6 question is: How do you get rid of it, or how</p> <p>7 do you reduce it?</p> <p>8 Historically, the single greatest technique</p> <p>9 or approach is as water runs off of these mine</p> <p>10 sites, the selenium gets progressively more</p> <p>11 dilute as more and more creeks from non-mine</p> <p>12 watersheds roll into it, and the concentrations</p> <p>13 just falls. That's a very important approach.</p> <p>14 Of course, the coal sector also tries to</p> <p>15 reduce this with a variety of strategies, and I</p> <p>16 think Teck and Elk Valley in BC is a very</p> <p>17 helpful template to understand just how</p> <p>18 challenging and expensive it can be to try and</p> <p>19 remove selenium. They've spent billions of</p> <p>20 dollars and historically have largely been</p> <p>21 unsuccessful.</p> <p>22 Let's see. Yeah, next slide, please.</p> <p>23 So we have to now move into selenium</p> <p>24 attenuation. If there's coal mining, whether</p> <p>25 it's just Grassy or all of them, there will be</p> <p>26 a significant amount of selenium that's going</p>	<p style="text-align: right;">782</p> <p>1 to be mobilized because of surface area.</p> <p>2 There are not limits, regulatory limits, in</p> <p>3 Alberta, what we might call "end of pipe", that</p> <p>4 legislatively require coal miners, coal mining</p> <p>5 operations, to restrict the amount of selenium</p> <p>6 that's released. Rather, we have guidelines</p> <p>7 that look at how much selenium aquatic life or</p> <p>8 drinking water or irrigation crops or livestock</p> <p>9 can tolerate. And then the challenge is to</p> <p>10 attenuate those levels with whatever technology</p> <p>11 is being deployed.</p> <p>12 So what we see here from our simulations,</p> <p>13 given that we've simulated these land uses, let</p> <p>14 these coal mines proceed, generate that</p> <p>15 selenium load, is how much selenium would, say,</p> <p>16 Northback and Grassy Mountain or any coal</p> <p>17 mining company in these headwaters have to</p> <p>18 remove in order to meet these guidelines. And</p> <p>19 at the headwaters, where the concentrations --</p> <p>20 is the highest, for very sensitive indicators</p> <p>21 like aquatic life, you essentially have to be</p> <p>22 in the 98 to 99 percent, or you're going to</p> <p>23 have an adverse toxicity effect.</p> <p>24 Now, for crops, particularly as you move</p> <p>25 downstream because so much of the selenium has</p> <p>26 now been diluted by more and more water, you</p>
<p style="text-align: right;">783</p> <p>1 may only need to remove 40 or 60 or 80 percent.</p> <p>2 And by the time the water gets down to the</p> <p>3 Oldman, say, to Lethbridge, for irrigation</p> <p>4 purposes, it's been largely diluted by the</p> <p>5 water flow. But for aquatic life, you'd still</p> <p>6 need to remove 90 percent. And, of course, the</p> <p>7 regulations in BC are more stringent than we</p> <p>8 have here in Alberta.</p> <p>9 So you need to mitigate this with</p> <p>10 attenuation strategies. This has been very</p> <p>11 challenging in BC, in the Elk Valley.</p> <p>12 Companies like Teck, they've been around for a</p> <p>13 long time and spent billions of dollars of</p> <p>14 years -- billions of dollars to try and solve</p> <p>15 this problem.</p> <p>16 Now, the current approach, SRF, saturated</p> <p>17 rock fill, is it's essentially the newest</p> <p>18 technology attempting to solve this problem.</p> <p>19 And some of the initial results seem quite</p> <p>20 encouraging, although I think the Elk River</p> <p>21 itself has not shown a major improvement and</p> <p>22 probably because there's some sort of lag</p> <p>23 involved there, but it remains to me unclear</p> <p>24 whether this methodology will work effectively</p> <p>25 once all the rock fill is fully saturated and</p> <p>26 overfill occurs.</p>	<p style="text-align: right;">784</p> <p>1 So perhaps this is a technology that will</p> <p>2 partly solve this problem, but no one is going</p> <p>3 to know that until meaningful time has unfolded</p> <p>4 and robust monitoring occurs.</p> <p>5 So, in my view, there is no technology that</p> <p>6 solved this problem today.</p> <p>7 So we have a major selenium toxicity issue</p> <p>8 in my estimation.</p> <p>9 The next slide moves -- so that would be</p> <p>10 Slide 27. Here we're going to talk about water</p> <p>11 consumption.</p> <p>12 In absolute numbers, coal needs millions of</p> <p>13 cubic metres of water to be mined. That sounds</p> <p>14 like a lot. And if you're talking about the</p> <p>15 very, very headwaters where these streams are</p> <p>16 small, it is a lot of water. If you're talking</p> <p>17 about the entire basin and comparing it to all</p> <p>18 the other human land uses, it's almost</p> <p>19 infinitesimally small.</p> <p>20 So it's really about scale. But put</p> <p>21 yourself in the shoes of aquatic life or a</p> <p>22 rancher that has a cow-calf operation and is</p> <p>23 grazing their cattle at the headwaters of these</p> <p>24 basins. Those streams are small, and our</p> <p>25 results suggest, for example, if you're up in</p> <p>26 Blairmore Creek, if you look at those graphs, I</p>

<p style="text-align: right;">785</p> <p>1 better explain a little bit to the right. 2 You see where they're very high in the 3 left -- because this is throughout the year, 4 the amount of water extracted as a fraction of 5 the water there is very high because there's so 6 very little water moving through. And the coal 7 mines need those waters. So they can use up to 8 40 percent of the water in some of these basins 9 if we use the metrics that we think are most 10 appropriate for coal mining. 11 Now, once the winter starts to die out and 12 it warms up and all this snow melts, there's a 13 lot more water, and, therefore, the amount used 14 by coal mining is relatively low. And then it 15 just continues to build back up. 16 When we go from Blairmore Creek where 17 the -- in a high -- high coal mining scenario, 18 could be as high as 40 percent -- go down to, 19 for example, the Oldman River at Lethbridge, 20 it's more like three quarters of 1 percent; 21 it's exceptionally low. 22 But if you are a cow-calf operator and your 23 cattle need water, or if you're the benthos, 24 these aquatic invertebrates that are required 25 for westslope cutthroat trout, that is a 26 profound loss of water. And it may, in fact,</p>	<p style="text-align: right;">786</p> <p>1 be an underestimate because as climate change 2 becomes more pronounced and as the frequency 3 and magnitudes of droughts becomes more 4 pronounced, there will be less water in those 5 creeks than we think there is based on 6 historical data. 7 Next slide, please. 8 I'm going to briefly talk about mine 9 reclamation, and if we make the assumption that 10 the coal mining sector in Alberta performs as 11 well as the proven major players to the west in 12 the Elk, players like Teck, we would see that 13 at the end of 50 years, approximately one 14 quarter of the disturbed area reclaimed, 15 reclaimed to a point which would be eligible 16 for certification. 17 So one quarter reclaimed, three quarters 18 not which means if we looked at the high-case 19 scenario, there would be about 20, 25 square 20 kilometres reclaimed out of, what, a total of 21 93 square kilometres. 22 So reclamation is difficult. It's 23 expensive. If we're reshaping the regional 24 topography -- and let me say that there's a big 25 difference between reshaping the topography and 26 putting plants on it and those systems</p>
<p style="text-align: right;">787</p> <p>1 recovering their ecological integrity. A good 2 example would be alpine versions of fescue 3 grasses, which are critical to many ecological 4 indicators; it's also very important to 5 cow-calf operators and essentially impossible, 6 in a cost-effective way, to reclaim on coal 7 mine sites. 8 Next slide. 9 So I'd like to zoom back out to the Oldman. 10 And on the left, we see a map with a lot of 11 white and some pink and green. The areas that 12 aren't white are areas that are considered to 13 be either internationally, federally, or 14 provincially critical in terms of their 15 environmental services: water quality, water 16 quantity, biodiversity, charismatic megafauna. 17 And what you see is that most of that integrity 18 has been lost in the basin, except for the 19 headwaters. 20 That's why organizations like Y2Y, 21 Yellowstone to Yukon, have identified these 22 corridors as being so critically important. 23 And a lot of them are protected but not the 24 area of the headwaters of the Oldman. 25 And now if we look at one of the ALCES maps 26 to the right, which looks at a broad suite of</p>	<p style="text-align: right;">788</p> <p>1 ecological indicators, including water quality, 2 water quantity, carbon dynamics, biodiversity, 3 natural plant communities, we see that there's 4 very little green left. The green that is left 5 is in the headwaters. And that's not 6 surprising. That's why our analyses are very 7 supportive of provincial, national, and 8 international assessments of these critical 9 areas. And smack-dab in one of the few 10 vestiges of these remaining corridors of 11 ecological integrity is with a functional 12 question that I think is in front of Albertans, 13 not whether it should be a coal exploration 14 permit for Northback, but whether there's going 15 to be a significant coal mining trajectory in 16 southwest Alberta. 17 Next slide. 18 So, in summary, we need to remind ourselves 19 of the key values of the Oldman watershed and 20 its headwaters. It's critical for the 21 provision of water quality and quantity, 22 whether it be wildlife, agriculture, 23 recreation. These land uses cannot exist if 24 our water degrades. 25 It's also one of the last landscapes that 26 support extensive cow-calf operations with</p>

<p style="text-align: right;">789</p> <p>1 native fescue systems. 2 So against that, should surface coal mining 3 proceed, and on a strategic level, whether it's 4 just Grassy or Grassy or Tent or all of the 5 eight that -- or it's probably changed now -- 6 would like it to, my opinion would be it would 7 certainly create massive challenges relating to 8 selenium toxicity of water unless very high 9 recovery rates can be attained over 90 percent. 10 And it's not over a week or a month or a year 11 or a decade. Given the amount of rubble, we're 12 talking about centuries, if not millennia. 13 That's how long -- well, if you have to -- 14 those performances would have to perform as 15 long as people care about water quality. 16 So I would think it would jeopardize 17 basically all downstream land uses. 18 Although gross water demand from coal 19 mining is low at a basin scale -- I think we've 20 established that -- it would be high at the 21 basin's headwaters, particularly in late summer 22 and during winter. It would result in the loss 23 of the integrity of wilderness and its 24 connectivity in the east slopes. Almost all 25 that connectivity is gone. It's just one thin 26 corridor left. The risk of long-term</p>	<p style="text-align: right;">790</p> <p>1 probability of pollution liabilities for all 2 downstream users would be high. 3 Next slide, please. 4 So my final thoughts would be that we need 5 to recognize that the primary purpose of the 6 east slopes is water and watershed protection. 7 It seems like in Alberta, every 10 or 15 years, 8 we go back to have this conversation, only -- 9 remind ourselves that that's the most 10 important. And then we begin to discuss land 11 uses that will interfere with that primarily 12 objective. 13 The east slopes are already exceptionally 14 busy providing deliverables. They produce our 15 water. They produce sustainable beef and the 16 recreational opportunities that already -- busy 17 producing societal services. Adding a large 18 coal mine trajectory, whether it starts small 19 as in Grassy and expands more recently to this 20 precious renewal system, will cause significant 21 lasting damage. It will likely significantly 22 damage the current land uses and the natural 23 capital of the east slopes. It's just 24 inadvisable if we're thinking about the 25 importance of this natural capital for our 26 generation and for future ones.</p>
<p style="text-align: right;">791</p> <p>1 Thank you very much for the opportunity to 2 present. 3 Q G. FITCH: Thank you, 4 Dr. Stelfox. 5 G. FITCH: Madam Chair, that 6 concludes the direct evidence of these two 7 witnesses. I know we're a bit over time for 8 break, so I assume that we'll come back, and 9 the witnesses will be available to answer 10 questions. 11 THE CHAIR: Thank you, 12 Mr. Fitch. Thank you. 13 Thank you for your presentations. 14 We will take our break. I would suggest -- 15 well, on my schedule I have 11:15 to come back. 16 We can still adhere to that. And since we 17 are -- or -- sorry -- or we can come -- yeah, 18 10 past 11. Thank you. 19 (ADJOURNMENT) 20 THE CHAIR: Thank you. Please 21 be seated. 22 M. IGNASIAK: Madam Chair, on 23 behalf of Northback, we have no questions, and 24 we'll address relevance in argument. Thank 25 you. 26 THE CHAIR: Thank you.</p>	<p style="text-align: right;">792</p> <p>1 So we initially had two hours scheduled for 2 Northback. Now, next on the agenda is Piikani 3 Nation. 4 C. HANERT: Thank you, 5 Madam Chair. Piikani Nation has no questions 6 for these witnesses. 7 THE CHAIR: Okay. Thank you 8 very much. 9 So I'm going to turn to AER counsel. Are 10 you prepared to proceed, or do you wish to have 11 a break? You're prepared to proceed? 12 S. GIBBONS: Yes, Madam Chair, 13 we're prepared to proceed. 14 THE CHAIR: Okay. Thank you. 15 S. GIBBONS: One moment, please. 16 Alberta Energy Regulator Staff Cross-examines 17 Livingstone Landowners Group 18 Q S. GIBBONS: Good morning, 19 Mr. Fitch, Dr. Stelfox. My name is Shauna 20 Gibbons. I'm one of the counsel for the AER 21 and counsel to the Panel. 22 In consultation with Teichreb -- 23 Mr. Teichreb, who is AER staff, I have, I 24 believe, just one question for you. And it's 25 to Mr. Fitch. In your report at 26 Exhibit 84.01 -- I don't think we need to bring</p>

<p style="text-align: right;">793</p> <p>1 it up -- but we can if needed. 2 You, in your report, Mr. Fitch -- oh, 3 before I begin. I just want to let you know as 4 I did the last time I asked questions that the 5 purpose of my questions is to clarify the 6 record. 7 So in your report, you mention the risk of 8 erosion associated with activity a number of 9 times. Can you provide specific measures or 10 reference to available guidance which would 11 effectively mitigate erosion risks associated 12 with this type of activity in this region of 13 Alberta? It's a long question, so if you need 14 me to paraphrase, that's fine. 15 A L. FITCH: No, I think I 16 understand the question. I think the first way 17 to answer that is avoid disturbance because 18 it's very difficult once disturbance happens, 19 even in spite of the mitigative measures taken 20 to deal effectively with erosion, particularly 21 with these events that we now seem to have more 22 and more often. Since 1995, it strikes me 23 we've had -- what is it -- four 24 one-in-a-hundred-year flood events. It tells 25 us that the climate change is happening; we're 26 part of it; and that the past way of looking at</p>	<p style="text-align: right;">794</p> <p>1 the techniques to deal with erosion and 2 sediment prevention no longer work, and it 3 requires substantial more activity in terms of 4 reducing the effects of that sudden flash of 5 runoff, and, again, the first way of doing it 6 is to reduce or eliminate a lot of our 7 footprint. 8 Q I don't know if you recall, but this morning in 9 your direct you mentioned something about best 10 management practices are inadequate. Do you 11 recall that? 12 A I do. 13 Q What -- do you have anything other than no 14 activity that you would consider more than 15 minimal -- I believe you referred to it as more 16 than minimal adequate measures? 17 A Well, in thinking through this, one is avoiding 18 steep slopes where it is virtually impossible 19 to corral water from one of these events that 20 causes massive amounts of erosion. 21 Second of all, if some of the mechanisms of 22 dealing with this volume include culverts, they 23 should be sized appropriate for maximum 24 probable flood rather than the minimum. And in 25 some cases, it might require bridges rather 26 than culverts to ensure that there's a free</p>
<p style="text-align: right;">795</p> <p>1 passageway of maximum probable floods. And 2 sometimes even that may not be enough. 3 Q Okay. Thank you. 4 One moment. One last question. Do you 5 have any guidance documents for those 6 mitigation measures in terms of avoiding steep 7 slopes, et cetera, that the Panel should 8 consider? 9 A I'm sure there are. I'm not aware of them, but 10 my experience tells me -- and, in fact, I'll 11 just read you a passage from the document that 12 myself and four colleagues made on insights on 13 coal development over our 50-year lifespan of 14 looking at coal mines and exploration: 15 (as read) 16 High snowfall runoff and major 17 rainfall events have happened on a 18 regular basis, often causing flows 19 that were well above the levels that 20 regulatory agencies and companies 21 anticipated included in modelling and 22 for which infrastructure was designed 23 and built. This would be exacerbated 24 by climate change, making historic 25 rainfall, snowfall, and stream flow 26 data increasingly out of date for</p>	<p style="text-align: right;">796</p> <p>1 planning and engineering purposes. 2 Q One moment. 3 Thank you, sir. 4 S. GIBBONS: Madam Chair, those 5 are our questions. 6 THE CHAIR: Thank you very much. 7 S. GIBBONS: Oh, one moment. One 8 moment. 9 My apologies, Madam Chair. We have no 10 further questions. 11 THE CHAIR: Thank you very much, 12 Counsel. 13 We are going to take ten minutes break to 14 discuss if the Panel may or may not have any 15 questions. We'll be back at around 11:30. 16 Don't hold me to that, though. 17 (ADJOURNMENT) 18 THE CHAIR: Thank you. Please 19 be seated. 20 So we have a couple of questions for 21 witnesses. Commissioner Barker, would you like 22 to go first? 23 COMMISSIONER BARKER: Thank you, 24 Madam Chair. 25 The Panel Questions Livingstone Landowners 26 Group</p>

<p style="text-align: right;">797</p> <p>1 Q COMMISSIONER BARKER: Mr. Fitch, I have a 2 question for you. In your -- there was a 3 diagram on your visual aids. It was Number 1 4 of 6, and it was the linear road density 5 example diagram. I wonder if you could put it 6 up for us, please. 7 Yeah. I'm not an expert in this, and I 8 wonder if you could help us understand what 9 this diagram means, how to interpret -- 10 A L. FITCH: Sure. 11 Q -- it? 12 A So -- 13 Q You might have to speak into the microphone. 14 A The box that these are in is 1 kilometre 15 squared. 16 Q Okay. 17 A The blue line is a stream. The black lines are 18 roads. And so it's a way of helping people 19 understand this concept of linear density. 20 When we say "0.6 kilometres per kilometre 21 squared", what does it look like? And -- and 22 this is a visualization of what that looks like 23 to help you understand how many times, given a 24 road density figure, would a road intersect 25 with a stream or a tributary to a stream, and, 26 of course, then the implication is that if a</p>	<p style="text-align: right;">798</p> <p>1 road is crossing that stream, roads erode -- 2 roads erode and carry sediment. What's the 3 implication, then, in a drainage system of all 4 of that drainage happening from the roads at 5 various road densities? 6 Q Okay. Thank you. 7 A Does that help? 8 Q That's very helpful. Thank you. 9 So in this diagram here, the little blue 10 curvy line is -- 11 A Is a stream, that's right. 12 Q -- a stream, and the straight lines are 13 potential roads? 14 A Roads or trails. 15 THE COURT REPORTER: Sorry. One at a 16 time. 17 A L. FITCH: Sorry. 18 Q COMMISSIONER BARKER: And the roads are -- 19 the straight lines and the diagonal lines are 20 roads? 21 A That's correct. 22 Q Now, thank you for that. That's very helpful. 23 One other question for you was that we 24 heard from Northback that they are planning no 25 new linear disturbance for this exploration 26 program. What are your views, then, on that in</p>
<p style="text-align: right;">799</p> <p>1 light of this? 2 A Well, it may be true that they're not 3 contemplating any new road density. There will 4 be disturbance because they've indicated that 5 they have to blade or grade some of the roads 6 to meet access requirements for their equipment 7 and for safety standards. And that's -- that's 8 an indication of disturbance, not an increase 9 in road density. 10 Q Okay. Thank you very much, sir. 11 COMMISSIONER BARKER: Thank you, Madam. 12 THE CHAIR: Thank you, 13 Commissioner Barker. 14 Commissioner Mackenzie. 15 Q COMMISSIONER MACKENZIE: Morning, Mr. Fitch. 16 Just one question. 17 In your testimony, you mentioned, I think, 18 that it was in -- it was in reference to 19 waterbodies and whether or not there were fish 20 baiting on Grassy Mountain? 21 You mentioned, I think, that it was in 1976 22 you observed that one of the pit lakes had fish 23 in it. And I just wonder, Northback appeared 24 to use a numerical system to identify their pit 25 lakes. Are you able to tie that observation 26 back to the pit lakes that have been referenced</p>	<p style="text-align: right;">800</p> <p>1 in this particular application? 2 A L. FITCH: It was the biggest 3 pit lake in a series -- I think there's three 4 in a row -- and the biggest pit lake is in the 5 middle of those, and that's the one that I set 6 test nets in. 7 Q Okay. Thank you. 8 I know that there's -- there are -- there 9 are several exhibits -- whether I can find them 10 right now -- that Northback have provided that 11 indicate where the pit lakes are that this 12 application concerns. I believe it's in 13 Mr. Hatfield's report. I'm just hoping that we 14 can maybe pull it up, but I need to find the 15 right reference. 16 M. IGNASIAK: Madam Chair, I 17 believe it's PDF 111 of Exhibit -- 18 COMMISSIONER MACKENZIE: 86.1, I believe. 19 M. IGNASIAK: That's correct. 20 COMMISSIONER MACKENZIE: Okay. Thank you. 21 Can we just pull that up, please? Oh, I just 22 found it now. I believe it was page 111 of the 23 PDF. And if you just shrink it slightly 'cause 24 there's a fourth lake on ... 25 Q COMMISSIONER MACKENZIE: So are we talking 26 about any of these pit lakes? Is it Pit</p>

801	802
<p>1 Lake --</p> <p>2 A Yeah, yes.</p> <p>3 Q -- Number 3 that we're discussing here, with</p> <p>4 the lake in the middle?</p> <p>5 A It's Pit Lake 2.</p> <p>6 Q Okay. Thank you very much. Thanks.</p> <p>7 THE CHAIR: Those are all of our</p> <p>8 questions.</p> <p>9 So I have to check -- please, go ahead for</p> <p>10 these witnesses.</p> <p>11 G. FITCH: Thank you,</p> <p>12 Madam Chair. I have no redirect. But I have</p> <p>13 neglected to ask that we mark certain documents</p> <p>14 as exhibits arising from the testimony of</p> <p>15 Mr. Trafford yesterday and our two witnesses</p> <p>16 today.</p> <p>17 So, firstly, there's the written version of</p> <p>18 Mr. Trafford's testimony which we had prefiled</p> <p>19 essentially with the AER, and some of you may</p> <p>20 have been looking at it while he was speaking.</p> <p>21 So if we could mark that as the next</p> <p>22 exhibit.</p> <p>23 THE CHAIR: Any objections? No?</p> <p>24 G. FITCH: And then secondly --</p> <p>25 S. GIBBONS: Just before you go</p> <p>26 on, sir, Madam Chair, we would mark that as</p>	<p>1 Exhibit 125.</p> <p>2 THE CHAIR: Thank you.</p> <p>3 EXHIBIT 125 - Written Version of</p> <p>4 Bill Trafford's Testimony</p> <p>5 G. FITCH: Thank you.</p> <p>6 Then next would be the visual aids to</p> <p>7 Mr. Fitch's testimony that he referred to this</p> <p>8 morning. Okay?</p> <p>9 THE CHAIR: Any objections from</p> <p>10 Northback? No.</p> <p>11 G. FITCH: Apparently not. So</p> <p>12 that would be Exhibit 126; is that right?</p> <p>13 S. GIBBONS: That's correct, sir.</p> <p>14 G. FITCH: Thank you.</p> <p>15 EXHIBIT 126 - Visual Aids to Lorne</p> <p>16 Fitch's Testimony</p> <p>17 G. FITCH: And then, finally,</p> <p>18 Dr. Stelfox's PowerPoint presentation, which I</p> <p>19 guess would be Exhibit 127.</p> <p>20 THE CHAIR: And no objection to</p> <p>21 that? No? Okay.</p> <p>22 S. GIBBONS: Correct. That would</p> <p>23 be Exhibit 127.</p> <p>24 THE CHAIR: Thank you.</p> <p>25 EXHIBIT 127 - PowerPoint Presentation</p> <p>26 of Dr. Brad Stelfox</p>
803	804
<p>1 G. FITCH: Thank you,</p> <p>2 Madam Chair. That completes the evidence of</p> <p>3 the Livingstone Landowners Group. We want to</p> <p>4 thank you very much for your time.</p> <p>5 THE CHAIR: Thank you very much.</p> <p>6 And thank you for your presentations and your</p> <p>7 evidence.</p> <p>8 (WITNESSES STANDS DOWN)</p> <p>9 THE CHAIR: So next we have</p> <p>10 Mr. Emard. I don't know if you're prepared to</p> <p>11 come forward. We have allocated 30 minutes for</p> <p>12 you. Hold on. Sorry. Can you turn on the</p> <p>13 mic, please?</p> <p>14 V. EMARD: We would ask that we</p> <p>15 could do this after lunch. My partner</p> <p>16 assistant is in need because of medical reasons</p> <p>17 for food.</p> <p>18 THE CHAIR: Absolutely.</p> <p>19 We can be back at 1:00 for your</p> <p>20 presentation, Mr. Emard.</p> <p>21 V. EMARD: Thank you.</p> <p>22 THE CHAIR: Thank you very much,</p> <p>23 everyone. See you after lunch.</p> <p>24</p> <p>25 PROCEEDINGS ADJOURNED UNTIL 1:00 PM</p> <p>26</p>	<p>1 Proceedings taken at Govier Hall, Calgary,</p> <p>2 Alberta</p> <p>3</p> <hr/> <p>4 January 16, 2025 Afternoon Session</p> <p>5</p> <p>6 P. Meysami The Chair</p> <p>7 S.F. Mackenzie Hearing Commissioner</p> <p>8 M.A. Barker Hearing Commissioner</p> <p>9</p> <p>10 M.G. LaCasse AER Counsel</p> <p>11 S. Gibbons AER Counsel</p> <p>12</p> <p>13 T. Wheaton AER Staff</p> <p>14 E. Arruda AER Staff</p> <p>15 D. Parsons AER Staff</p> <p>16 A. Stanislavski AER Staff</p> <p>17 N. Hymers AER Staff</p> <p>18 A. Lung AER Staff</p> <p>19</p> <p>20 M.K. Ignasiak, KC For Northback</p> <p>21 Holdings Corporation</p> <p>22 J.D. Eadie For Northback</p> <p>23 Holdings Corporation</p> <p>24</p> <p>25 G.S. Fitch, KC For Livingstone</p> <p>26 Landowners Group</p>

805	<p>1 A. Dingman For Livingstone 2 Landowners Group 3 4 C.E. Hanert For Piikani Nation 5 6 B. Barrett For Stoney Nakoda 7 Nation 8 9 M.B. Niven, KC For MD of Ranchland 10 No. 66 11 M.A. Custer For MD of Ranchland 12 No. 66 13 14 A. Gulamhusein For Municipality of 15 Crowsnest Pass 16 17 D. DiPaolo, CSR(A) Official Court 18 S. Murphy, CSR(A) Reporters 19 20 (PROCEEDINGS COMMENCED AT 1:02 PM) 21 THE CHAIR: Thank you very much. 22 Please be seated. 23 Discussion 24 J. EADIE: Good afternoon, 25 Madam Chair, Panel Members. We just wanted to 26 advise that we received a request for a further</p>	806	<p>1 response to an undertaking that was provided 2 yesterday. And we're working on that right 3 now, and we expect to have that prepared 4 shortly. 5 M. LACASSE: And can you let us 6 know what exhibit that relates to for the 7 record? Is that 123? 8 J. EADIE: I believe so, yeah. 9 M. LACASSE: Okay. 10 J. EADIE: It was response to 11 Undertaking 3. 12 M. LACASSE: Okay. 13 J. EADIE: Yeah. 14 M. LACASSE: It looks like 15 Mr. Fitch has something to say. 16 G. FITCH: Yes. I intended, 17 when I was up here having the exhibits marked, 18 to put on the record that Mr. Trafford misspoke 19 himself when he was asked by, I believe, you or 20 one of the AER people about the distance that 21 Cabin Ridge is from Tent Mountain, and he said 22 3 or 4 miles. That's not correct. The answer 23 is more like 20 miles. And he was just -- 24 wanted to make sure that that was corrected. 25 M. LACASSE: Thank you for that 26 correction.</p>
807	<p>1 C. HANERT: Madam Chair, I'm 2 pleased to report that Piikani Nation has 3 finished its responses to the questions the 4 Panel asked. We have provided a copy of that 5 to Ms. Wheaton, and we ask that that be 6 introduced as an exhibit. 7 M. LACASSE: And I believe that 8 will be Number 128. 9 C. HANERT: Thank you. 10 EXHIBIT 128 - Piikani Nation 11 Responses to Questions of the Panel 12 THE CHAIR: Thank you very much. 13 Thank you, Ms. LaCasse. 14 So next we have Mr. Emard. Please proceed. 15 V. EMARD: Madam Chair -- 16 THE CHAIR: Yes. 17 V. EMARD: -- I have not been 18 sworn or affirmed. 19 THE CHAIR: We need Mr. Emard 20 sworn -- 21 V. EMARD: Yeah. 22 THE CHAIR: -- or affirmed -- 23 V. EMARD: Okay. 24 THE CHAIR: -- 'cause he's our 25 full participant. 26 M. LACASSE: The practice is that</p>	808	<p>1 only those giving evidence are sworn, and 2 Mr. Emard is the witness. Emard, my apologies. 3 THE CHAIR: We'll get it right. 4 Madam court reporter will get that for us. 5 VERN EMARD, Affirmed 6 Direct Evidence of Vern Emard 7 THE CHAIR: Okay. 8 V. EMARD: Good day, Panel. My 9 name is Vern Emard, and I thank you very much 10 for allowing me to be here. 11 My friend, Kevin Turner, will help me with 12 some of this stuff if I get stumped. 13 I got a little bit of a tick in my brain 14 from a stroke I suffered from maybe stress from 15 not getting home on time. 16 But "on time" is a different thing because 17 in 2019 I retired and moved onto my property, 18 Grassy Mountain, in a house. And I was living 19 the life until Northback -- at the time it was 20 Benga -- first blocked my access to my road. 21 So I wrote an SOC to the Panel because I'm 22 thankful that I'm allowed to do this. 23 They put a concrete block on my road one 24 day, and I say it like it's my road because in 25 1993 I bought some property through the Alberta 26 land registrar with an easement on it to a</p>



<p style="text-align: right;">809</p> <p>1 common point called "four corners" on a public 2 road at the time.</p> <p>3 So Benga started early -- I knew them since 4 2013 when they first come. Keith Bott was a 5 friend of mine. He was -- he was good to me 6 for a while until the JRP hearings when he 7 suggested that my access wasn't what the 8 Alberta land registrar had given me, that I 9 should scoot around up Highway 40 across the 10 back of what we call "Kasega" [phonetic] and 11 come down a bush trail to access my property.</p> <p>12 I kind of got mad at them after that, and 13 they weren't my friends. So I become a little 14 bit abjective to everything that they were 15 doing.</p> <p>16 So then they put a lock -- a lock on the 17 gate and give me two keys and said, That's it. 18 That's what you get, to go home. And they give 19 a piece of paper; kind of what they like to do 20 is give pieces of paper, and tell you what is 21 up without talking to you or having 22 consultations, especially that -- that road 23 served 13 quarters of land that was divided off 24 of the original mountain and sold to the public 25 using the Grassy Mountain road as the public 26 access to everybody's property.</p>	<p style="text-align: right;">810</p> <p>1 Now, I'm going to worry too much about the 2 details of -- of the legalities of it because I 3 did go to court once. And the judge give me a 4 good hammer and said, You could go home.</p> <p>5 And I went home for a little while, and 6 then, because I'm not the smartest critter, 7 they -- I messed up on -- the Rules of Court 8 are very extensive if you think that you know 9 everything. I know a lot about stuff. Maybe I 10 should give you a little.</p> <p>11 My name is Vern Emard. I'm a road builder 12 of 40 years. My father built roads for 13 50 years. Both my grandfathers built roads for 14 50 years. So when these miners told me that 15 that wasn't a road, that it was theirs, it 16 agitated and hurt because I had given 30 years 17 to that mountain, and I got to retirement, and 18 this is what they done to me.</p> <p>19 So without consultation they just blocked 20 the road again, and I've been barred access 21 from my home again now maybe since May; I'm not 22 good at dates. If you need stuff like that, 23 Kevin can help me find it.</p> <p>24 So through the course of those years from 25 2019 to now, "belligerent" is the word that I 26 have been with them because going up and down</p>
<p style="text-align: right;">811</p> <p>1 the mountain for groceries or whatever, the 2 gate and these two key things, you'd be locked 3 out or in. You couldn't go up or down or home. 4 The dogs would be in the cabin. There's 5 nothing you could do and the stress.</p> <p>6 I was thankful towards the end of secretary 7 Diana Lazzarotto; she treated me really good. 8 And she would come after hours and let me in so 9 I could go home. And then one day again, the 10 road is locked, even though they told me 11 originally, If we go mining, we'll close that 12 road, and you have to find your own way in. 13 Well, there again, I took exception, and I 14 started to read the rules and all that.</p> <p>15 Under the Responsible Energy Development 16 Act, which made reference to the Alberta Energy 17 and Utilities, which I had dealt with three 18 times before, the two most important things in 19 responsible energy development were the 20 environment and the landowner.</p> <p>21 And the environment had already said, No, 22 and the landowner was crying, Please, please.</p> <p>23 And I did approach Northback, so what they 24 did was send me a piece of paper with a road 25 use agreement that I did refuse to sign, mostly 26 because what it said on it would be giving up</p>	<p style="text-align: right;">812</p> <p>1 my rights as a homeowner that the Alberta 2 government had given me through the Alberta 3 land registrar through easements of an implied 4 consent and conditions on the public road of 5 Grassy Mountain. And it wasn't right. And I 6 knew this from my hundred-plus years of road 7 building in Alberta. I built roads as far 8 north as the Dunvegan special areas. I did 9 roads in special areas. And that's a special 10 area, I'll tell you what. That's the 11 government zone.</p> <p>12 So I knew what I thought. I'm not the most 13 authority on road building, but like I say I've 14 done it all my life. That was my thing.</p> <p>15 So I learned a lot, and I knew what Benga 16 was doing to me wasn't right. Because I 17 retired and sold the business, I had a little 18 bit of money, and I decided to say, No, this 19 isn't right.</p> <p>20 So when the opportunity come for this 21 hearing, I thought, Hmm, maybe I can tell some 22 smart people this, and we can figure this out.</p> <p>23 But, again, it's not for you to figure out. 24 I will get to court again, and they will figure 25 it out.</p> <p>26 So I'm asking maybe that you guys are aware</p>

<p style="text-align: right;">813</p> <p>1 that they're not the responsible resource 2 developer in my eyes for the certain things 3 that they have done to a landowner in the 4 process of exploring and developing resources 5 in Alberta, which has programs. 6 And under the REDA, it makes reference to 7 Alberta Energy and Utilities Board, even though 8 it was old in 2003, change over maybe to the 9 AER. I'm not sure of dates. I do have a tick 10 in my brain. 11 So under -- I read all of that stuff, and, 12 you know, I got pages and books and boxes of 13 all of this stuff with little underlined things 14 of the rules that they are breaking and shooing 15 around, trying to push this development forward 16 to us that -- and the one thing that I told 17 them is, This is not in the public's interest. 18 It isn't a utility, a road, electricity, 19 natural gas for the public. It is a private 20 development, that they have to follow the rules 21 and take care of all of those involved. 22 So within the scope of my SOC, Northback's 23 response to me -- I'm imagining, and I don't 24 know all of this because I'm blind in one eye, 25 so I have a real problem in juggling paper. 26 But Northback's belligerence back to me</p>	<p style="text-align: right;">814</p> <p>1 saying that I don't have a residence and I 2 don't live on the mountain, I'm just a seasonal 3 thing -- under the law there is -- a principal 4 residence is a place where one resides more 5 than any other place. And that's what the 6 mountain was to me since 2019. I didn't live 7 up there seven days a week, four nights a week, 8 and then I went and flirted around life. I 9 have a vacation property on Vancouver Island, 10 so I lived life. 11 And in all their communications with me, 12 the key thing was very stressful. And I would 13 never prove it and never try and prove it, but 14 the stress that it give me might have been why 15 I had a stroke one morning after getting locked 16 out again. 17 And, you know, I'm still alive, and I'm 18 still kicking, but I've got issues. And I got 19 a hurt in my heart that I want to get out, and 20 I'm asking for help because I did write all of 21 our government things. I went to all of the 22 government people asking for help. And you 23 know what? These people are pretty powerful. 24 Pretty big. They got some big cojones on them, 25 and they got -- and nobody would help me. 26 So when I did that thing with court, I went</p>
<p style="text-align: right;">815</p> <p>1 about it myself because, again, the lawyer 2 thing is a tough thing to find. 3 I did find one now that is experienced in 4 some of the stuff that I talk about because I 5 think one of the problems with the lawyer thing 6 is within the law of roads, which I claim that 7 the Grassy Mountain road is a forced road under 8 road builders -- it's a common-law road; 9 40 years-plus of being a public road -- that I 10 had a right. 11 So here I am to let you know that I -- I'm 12 not happy. I'm sad. I'm hurt. And I know you 13 might not be able to fix it, but I want to know 14 what these people are capable of, this 15 corporation. It isn't the people; it's the 16 corporation 'cause there is some good people in 17 that corporation -- has no disregard for 18 anything that stands in their way when they 19 want something. They seem to push through the 20 paper of claimants and this, that and the other 21 thing. And one of the things under my 22 constitutional right in my Alberta Bill of 23 Rights is I should not be denied access to my 24 property without proper court and a judge 25 making decisions, not a corporation sending me 26 paper of claimants of ownership.</p>	<p style="text-align: right;">816</p> <p>1 I didn't claim that I owned that road, but 2 there is -- there was 13 owners of land up on 3 that Grassy Mountain that the original 4 owners -- and not what they assume was Kootenay 5 Wood -- the original owners was a French 6 company, Consolidated Coal, and when they lost 7 two trucks, a shovel, and a dozer in a mine 8 cave in the -- 1956, they left two men to take 9 care of it. They closed the mine. The mine 10 was effectively done. They sold off half of 11 their mine interests to ranchers that used the 12 Grassy Mountain road as their access to their 13 property. 14 When it was further sold again from 15 ranching to the public, 13 new owners, that was 16 their common point given by the Alberta land 17 registrar under the Torrens system. Like, 18 that's why you and I buy houses and farms and 19 everything like that 'cause we trust that 20 system that we put our life into, to go forward 21 with life for whatever reason. We decide. 22 That was rights that were given to us. And 23 they have arbitrarily expropriated my road 24 access. 25 And, you know, they want me to sign a road 26 use agreement. I have a road use agreement</p>

<p style="text-align: right;">817</p> <p>1 with the Alberta government on a public road 2 already. Why would I need to sign my life away 3 and my property to a corporation that doesn't 4 respect the fact that there's a landowner 5 living there, and they should be dealing with 6 him in some form or manner. 7 I just -- you know, originally they had 8 said that, If we go mining, we'll close the 9 road, and you better sell us your property, or 10 you'll have no access to it, and it will be 11 worthless. Well, another thing that made me 12 mad. 13 So it's like, what -- this isn't 1880s 14 United States train coming through. This is a 15 public thing. 16 So, again, I'm appreciative of this because 17 you get to hear this, how they interacted with 18 myself. My children's mother, they did the 19 same thing to her. And we -- we are divorced 20 but we have a relationship. And the things 21 that went on through that were just not good. 22 So, yeah, I don't know. I sent a lot of 23 stuff in to the AER. I'm hoping all the 24 peoples that want to got a website. I went 25 looking for it on your website; I couldn't find 26 it. But I know it's out there for people that</p>	<p style="text-align: right;">818</p> <p>1 are really interested in just seeing what the 2 acts of unkindness showed towards a resident of 3 the lands -- so I -- yeah. And like I say, too 4 much paper. And the lawyer will take care of 5 the paper at some part. 6 So I am currently still locked out of my 7 home 'cause I will not sign the road use 8 agreement that gives them the power over my 9 property and my person. That's not right. 10 So I did find a lawyer, and it's going to 11 proceed again. 12 So I would like the Panel or -- you know, 13 to ask that, you know, if this project does 14 have to go through, that there be conditions on 15 it for Northback to properly deal with the 16 remaining landowners after they conquered and 17 divided the other landowners, and there was 18 only a couple of us left is when we seem to get 19 the paper trail coming of their claimants of a 20 wholly owned road by Riversdale and now 21 Northback, Benga, the Gina Rinehart thing, 22 like -- 23 So I tried -- my family and I met with them 24 and tried to come to -- but all they want to do 25 is own the land, and they don't really care if 26 I'm not there because the other thing that I</p>
<p style="text-align: right;">819</p> <p>1 believe, again, it's just a feeling that they 2 don't want me there, because I can't get in 3 there any other way than through that road 4 access. So I'm effectively blocked out of 5 going to my home. 6 They have made other claimants that I 7 graded the road. Well, I've been grading the 8 road for 30 years. There's some times I didn't 9 grade or snow clear the road because when Shell 10 was there, Northstar was there, Devon was 11 there; sometimes they would run a grader up and 12 down the road in the winter. And I only had a 13 little piece to do, so I never worried about 14 it. 15 And then when I retired and I bought myself 16 a couple of Sno-Cats because graders are cool. 17 But the big ole Cat things use fuel, and 18 they're tough and slippery on the road. The 19 Sno-Cats seem to clear the snow off the road 20 quite easily up and down, and I was going in 21 and out. 22 I did this for a couple of winters, and 23 then they figured out that it was me clearing 24 the road to get in in the winter 'cause 25 remember I lived there and I needed to go up 26 and down the road. And it wasn't an issue.</p>	<p style="text-align: right;">820</p> <p>1 And then all of a sudden, it was. 2 So I see now why it was, is because they 3 are doing stuff up there, and I watched them 4 before do some of the stuff up there. They're 5 not that bad in the exploration phase. They 6 did a couple of sneaky things, but they were 7 generally trying to behave in the exploration. 8 But they have no consideration on some things. 9 So part of my life up there being a retired 10 man was riding around on my horse at night, 11 seeing what they were up to during the day, 12 their drill holes and that orange stuff that 13 comes out of the pipes when they drill there. 14 And it flows pretty good, like 5 gallons a 15 minute this orange stuff -- and not all the 16 holes. And it -- it comes out the funniest 17 places. 18 And I've been up in the Daisy. I haven't 19 been to the Cabin Ridge, but I've been all -- 20 all of those holes, all of that stuff that they 21 did. 22 I phoned the AER, 2019, and they sent a -- 23 Tyler down just immediately. I appreciate that 24 too. Anybody says that the AER doesn't care, I 25 believe that you people do. And -- I really 26 do.</p>

<p style="text-align: right;">821</p> <p>1 So maybe that's why I got myself here to 2 try and do this up. I've been working at it a 3 long time. And, yeah, I'm -- I'm sad. I'm sad 4 for the environment and this whole process 5 that, again, we thought we were free to live a 6 life, but obviously not. And, you know, again, 7 if a Panel decides that that is in the public's 8 interest to do this going forward, I will 9 accept that with some justification that 10 Northback deals with me and my concerns going 11 forward. 12 I don't know if I need to say any more. If 13 they want some -- what do you call it -- 14 documentation on anything that I'm talking 15 about, I can get Kevin to help me pull it up. 16 All I see is paper with lines on it. 17 I don't know if I can say much more, so -- 18 I could. I could talk for hours. You give me 19 30 minutes. If you need any corroborating 20 stuff, Kevin could help out there. He's been 21 friends of mine for a while, and I've shared 22 this stuff with him that goes on. He's a 23 journalist, a good one. Because of my 24 impairment, it's been nice to have somebody 25 support me. 26 And I'll answer any questions you want to</p>	<p style="text-align: right;">822</p> <p>1 know about anything. Like I said, I've lived, 2 well, not the last 2 years, but for previous 3 28 years, I lived on that mountain. And it 4 wasn't just a recreational place. I sent my 5 lawyer a file of hundreds of pictures how I 6 lived a life with my kids and everything up 7 there, working towards retirement to be my 8 permanent residence, which it was at a certain 9 point. 10 Are you okay? 11 K. TURNER: Yeah. I just had to 12 move. 13 V. EMARD: Yeah. The two key 14 thing -- in control is part of the 15 expropriation control of that road that they 16 want. They won't share the road I think, 17 because in their ultimate mine design, that 18 that road is going to become a working thing. 19 And I see that, and I asked them at one point 20 to build me another road in. They said, No, 21 you build your own road in. Well, I probably 22 wouldn't mind doing that. I got nothing else 23 to do right now. But I feel that they should 24 set up all the dominoes for helping me go in 25 and out of my home, if that's a back door or 26 not. But they are as belligerent to me as I am</p>
<p style="text-align: right;">823</p> <p>1 back to some of them. 2 I hope we can resolve all our issues going 3 forward in this matter. 4 Thanks. 5 THE CHAIR: Thank you, 6 Mr. Emard. I think I got your name finally 7 correct. 8 So you don't need to file any further 9 documents; we have all your writing. 10 V. EMARD: Yeah. 11 THE CHAIR: It's on file. It's 12 on the website. So if you need to refer to it, 13 we will. 14 Mr. Ignasiak, questions for Mr. Emard? 15 M. IGNASIAK: Thank you, Madam 16 Chair. Thank you, Mr. Emard. No questions. 17 THE CHAIR: Okay. Thank you. 18 Staff, any questions? 19 M. LACASSE: Staff has no 20 questions. Thank you, Mr. Emard, and thank 21 you, Mr. Turner. 22 K. TURNER (UNAFFIRMED): If I may have a 23 moment to speak. Mr. Emard encouraged my 24 association here and my assistance, mindful of 25 the fact that Northback's documents themselves 26 expressed Mr. Emard's inability to create -- to</p>	<p style="text-align: right;">824</p> <p>1 craft a functional defence. 2 THE COURT REPORTER: Sorry. Is your mic 3 on? 4 K. TURNER: No, I'm sorry. The 5 reason Mr. Emard got ahold of me is his 6 incapacity to create a functional defence. He 7 was aware of the fact that I had significant 8 information on the file, including my 9 journalistic records, including ten years of 10 journalistic work that has been applied in 11 courts of law in the past. 12 He's also -- he also came to me in early 13 2022, I believe it was -- it's in my notes, and 14 I have them with me today -- to express these 15 concerns in January. In July we attended on 16 the mountain once. Then we made a visit to 17 Northback's office, and then we attended on the 18 mountain a second time. 19 There is information extraordinarily 20 relevant to this exploratory drilling program 21 that speaks directly to it and the access 22 concerns involved. 23 I also hold information that speaks 24 specifically to the hydrology, the 22 -- 2022 25 acid drain rock drainage release event for I 26 conducted the investigation into the original</p>

<p style="text-align: right;">825</p> <p>1 one in 2017. That information is held by the 2 AER for I provided the evidence to the AER. 3 I also -- I'm also aware of the 2014 4 release off of a drilling pad that occurred 5 from Grassy Mountain during the original 6 exploratory drilling that occurred for the 7 project. 8 The AER applied a \$6,000 fine, if I 9 remember, under an administrative penalty, and 10 that hasn't been mentioned at this hearing. 11 And I find that quite remarkable as a 12 journalist that my work is exceeding that of 13 the Panel at this moment. 14 THE CHAIR: So thank you for 15 that. 16 We have received all the documentation that 17 were relevant to this application. We have a 18 limited scope, and we will have regard for all 19 the relevant information that has been put 20 before us, so ... 21 K. TURNER: I appreciate your 22 scope, but Mr. Emard provided me with all the 23 documents. I've spent the last five days 24 creating a cogent outline for them. That's all 25 the time I had. I don't have the resources of 26 the other individuals in this room, and with</p>	<p style="text-align: right;">826</p> <p>1 the spinal injury, that slowed me down. 2 I put that together, and I intend to 3 provide a journalistic report that includes all 4 of this. I think it's incumbent upon justice; 5 I think it's incumbent upon the landowners. 6 It's fair to Northback; it's fair to all the 7 participants here that we have the whole truth 8 on the table in this alleged crucible. 9 I mean, that's our first function here, I 10 believe, is to get the whole truth on the table 11 so that the Panel can make a functional 12 decision. I assisted the AER in the original 13 EIA application. When they missed the deadline 14 to Windspeaker magazine by two weeks, I 15 literally -- I can't remember who the head of 16 the AER was at the time, but we wound up on a 17 four-person conference call, after which I 18 agreed with the head of the -- I will just 19 speak in positions because I cannot remember 20 the names. I haven't had sufficient prep time. 21 THE COURT REPORTER: Sorry. Sorry. Slow 22 down. Slow down. 23 K. TURNER: I'm sorry. Thank 24 you for being the metronome. 25 I've had insufficient prep time. 26 Therefore, what I've done is I've created a</p>
<p style="text-align: right;">827</p> <p>1 journalistic outlet that I intend to carry 2 forward to a journalistic report and then a 3 court-appropriate report that -- what occurred 4 in 2015 is in that -- in that conference 5 call -- I cannot remember the names of the 6 leaders. I believe there was the leader of 7 permitting, the head of the AER, another 8 individual, and Julia Fulford, who I was 9 communicating with at the time. She was 10 communications lead. And once I presented the 11 problem with the Windspeaker delay, that 12 created a two-week addition to the -- it 13 extended the period of the EIA by two weeks. I 14 did the AER a favour by posting that extension 15 on Riversdale's door. 16 And all of this evidence is available on a 17 Facebook page called "The Crowsnest Journal" 18 because of the impacts -- the direct impacts of 19 this project to me as a journalist, some of 20 which I share with Mr. Emard, and have evidence 21 of our mutual interactions with Northback that 22 speak directly to what Mr. Emard has put into 23 evidence here. 24 I believe it's incumbent upon the Panel to 25 take that into evidence. If we can find a 26 procedure, as we did in Pincher Creek, to allow</p>	<p style="text-align: right;">828</p> <p>1 new participants to speak in that lesser 2 crucible. Certainly, when you have an 3 individual sitting here with this experience 4 and the court experience, and the AER has 5 already accepted my evidence in the past to 6 prompt investigations -- I also led the federal 7 investigation into the release of substances 8 off the east flank in 2015. That hasn't been 9 put into evidence here. The results of it that 10 occurred within the scientific community and 11 within the mining community were put into 12 evidence, but the investigative enforcement 13 actions were not entered. How can we -- how 14 can we come to a reasonable conclusion without 15 that information? 16 I'm -- I'm not a member of the bar, but I 17 do have extensive experience within court 18 situations, both in criminal and environmental 19 law, in contract law, and in insurance law. So 20 I have some alacrity in being in a courtroom. 21 I've never been in a quasi-judicial before. 22 But I'm trying to apportion myself as I did in the 23 federal trial, R v. Brooks -- R. v. David 24 French and Brooks Motorcycle [sic] Club, which 25 was the first successful CERA conviction in 26 Alberta, to my knowledge.</p>

829	<p>1 So I do my believe my knowledge and</p> <p>2 information and ten-year dataset evidence set</p> <p>3 that I hold is of value to this Panel, is of</p> <p>4 value to the Alberta Energy Regulator, and</p> <p>5 ultimately to the people of Alberta.</p> <p>6 So the AER can make a decision on that. We</p> <p>7 can either accept the evidence today, or I will</p> <p>8 send it to the AER once my journalistic report</p> <p>9 is complete, and I will -- I will pass that</p> <p>10 information along to all of the interested</p> <p>11 parties in this room.</p> <p>12 So it's, you know, should we do it today,</p> <p>13 or should we do it next week? That's the</p> <p>14 question that I pose to the Panel.</p> <p>15 THE CHAIR: Okay. We are going</p> <p>16 to take a break and discuss --</p> <p>17 K. TURNER: Okay. Thank you.</p> <p>18 THE CHAIR: -- the path forward.</p> <p>19 K. TURNER: Could it be long</p> <p>20 enough that I can stretch my back out so that I</p> <p>21 can --</p> <p>22 THE CHAIR: Sure. Yeah.</p> <p>23 K. TURNER: -- give the most</p> <p>24 cogent and complete response, if you choose to</p> <p>25 take it.</p> <p>26 THE CHAIR: Ten minutes? Would</p>	830	<p>1 that be --</p> <p>2 K. TURNER: Ten minutes would be</p> <p>3 sufficient. Thank you.</p> <p>4 THE CHAIR: Okay. Thank you.</p> <p>5 (ADJOURNMENT)</p> <p>6 THE CHAIR: Thank you. Please</p> <p>7 be seated.</p> <p>8 Sorry, sir. Mr. Emard, can you come to the</p> <p>9 podium, please?</p> <p>10 So thank you, Mr. Emard. We appreciate</p> <p>11 your statement. As the full participant, we</p> <p>12 heard you. Your statement is on the record.</p> <p>13 And this Panel has no questions for you.</p> <p>14 And, moreover, we are not going to hear</p> <p>15 from Mr. Turner. He's not a participant. We</p> <p>16 have turned down many other people for fairness</p> <p>17 to participants who have been preparing like</p> <p>18 Mr. Emard for the last however many months.</p> <p>19 So with that, we are going to take a break</p> <p>20 before we ask Northback for any redirect that</p> <p>21 they may have. No more redirect? Or -- sorry.</p> <p>22 Thank you, Mr. Emard.</p> <p>23 V. EMARD: Thank you.</p> <p>24 (WITNESS STANDS DOWN)</p> <p>25 M. IGNASIAK: Madam Chair, we</p> <p>26 don't have any rebuttal evidence. Thank you</p>
831	<p>1 very much.</p> <p>2 THE CHAIR: No rebuttal</p> <p>3 evidence. Okay.</p> <p>4 So with that, that actually brings us to</p> <p>5 the end of this -- this part of the proceeding.</p> <p>6 We really appreciate everybody's participation,</p> <p>7 everybody's patience through our process. And</p> <p>8 we will adjourn the proceeding until we receive</p> <p>9 the advice from the Aboriginal Consultation</p> <p>10 Office. And after that we will solicit dates</p> <p>11 through letters from full participants for</p> <p>12 final argument.</p> <p>13 Thank you very much, and have a lovely rest</p> <p>14 of your day.</p> <p>15 _____</p> <p>16 PROCEEDINGS ADJOURNED</p> <p>17 _____</p> <p>18</p> <p>19</p> <p>20</p> <p>21</p> <p>22</p> <p>23</p> <p>24</p> <p>25</p> <p>26</p>	832	<p>1 CERTIFICATE OF TRANSCRIPT:</p> <p>2</p> <p>3 We, D. DiPaolo and S. Murphy, certify that</p> <p>4 the foregoing pages are a complete and accurate</p> <p>5 transcript of the proceedings taken down by us</p> <p>6 in shorthand and transcribed from our shorthand</p> <p>7 notes to the best of our skill and ability.</p> <p>8 Dated at the City of Calgary, Province of</p> <p>9 Alberta, this 16th day of January 2025.</p> <p>10</p> <p>11 </p> <p>12 _____</p> <p>13 D. DiPaolo, CSR(A)</p> <p>14 Official Court Reporter</p> <p>15 Commissioner for Oaths Appointee No. 0751145</p> <p>16 ASRA Membership No. 386</p> <p>17 NCRA Membership No. 1003835</p> <p>18</p> <p>19 </p> <p>20 _____</p> <p>21 S. Murphy, CSR(A)</p> <p>22 Official Court Reporter</p> <p>23 Commissioner for Oaths Appointee No. 0703370</p> <p>24 ASRA Membership No. 170</p> <p>25</p> <p>26</p>