

329	<p style="text-align: center;">THE ALBERTA ENERGY REGULATOR</p> <p style="text-align: center;">IN THE MATTER OF Regulatory Appeal 1927181 to the Alberta Energy Regulator</p> <hr/> <p style="text-align: center;">AER PROCEEDING VOLUME 3 VIA REMOTE VIDEO</p> <hr/> <p style="text-align: center;">October 15, 2020</p>	330
331	<p>1 Certificate of Transcript 466</p> <p>2 _____</p> <p>3 Proceedings taken Via Remote Video</p> <p>4 _____</p> <p>5 October 15, 2020 Morning Session</p> <p>6</p> <p>7 C. Low The Chair</p> <p>8 C. McKinnon Hearing Commissioner</p> <p>9 B. Zaitlin Hearing Commissioner</p> <p>10</p> <p>11 S. Poitras AER Counsel</p> <p>12 A. Hall AER Counsel</p> <p>13 D. Campbell AER Staff</p> <p>14 S. Botterill AER Staff</p> <p>15 L. Chen AER Staff</p> <p>16 E. Galloway AER Staff</p> <p>17 S. Harbidge AER Staff</p> <p>18 T. Rempfer AER Staff</p> <p>19 T. Turner AER Staff</p> <p>20 A. Shukalkina AER Staff</p> <p>21 T. Wheaton AER Staff</p> <p>22</p> <p>23 L. Berg For ISH Energy Ltd.</p> <p>24 S. Hryciw</p> <p>25</p> <p>26 J. Jamieson For Canadian Natural Resources</p>	332

1	TABLE OF CONTENTS	
2		
3	Description	Page
4		
5	October 15, 2020 Morning Session	332
6	Discussion	332
7	Ms. Berg Cross-examines Canadian Natural	333
8	Resources Limited	
9	Alberta Energy Regulator Staff Questions	368
10	Canadian Natural Resources Limited	
11	Alberta Energy Regulator Panel Questions	386
12	Canadian Natural Resources Limited	
13		
14	October 15, 2020 Afternoon Session	410
15	Response to Undertaking by	410
16	Canadian Natural Resources Limited	
17	Alberta Energy Regulator Panel Questions	413
18	Canadian Natural Resources Limited	
19	VERONIQUE GIRY, PETER VERMEULEN, DAVID LEECH,	419
20	EDWARD MATHISON, EARL WARD, BRETT THOMPSON,	
21	JENNIFER CLEE, Affirmed	
22	Rebuttal Evidence of ISH Energy Ltd.	419
23	Ms. Jamieson Cross-examines	445
24	Canadian Natural Resources Limited (Rebuttal)	
25	Alberta Energy Regulator Staff Questions	457
26	ISH Energy Ltd. (Rebuttal)	

1	Limited	
2		
3	A. Vidal, CSR(A)	Official Court Reporter
4	S. Howden, CSR(A)	Official Court Reporter
5	_____	
6	(PROCEEDINGS COMMENCED AT 9:00 AM)	
7	Discussion	
8	THE CHAIR:	Just before we go back
9	to ISH's continued questioning of the Canadian Natural	
10	panel, I just wanted to let you know we've revised, as	
11	you know, the schedule, and for your planning purposes,	
12	at sort of a high, high level, what it looks like is	
13	finishing with the Canadian Natural witness panel this	
14	morning. So ISH will finish their questioning. AER	
15	staff and then the Panel, if we have questions, any	
16	redirect by Canadian Natural, and then we'll take --	
17	and probably fit a shorter break in there and then take	
18	the longer lunch break, and then after the lunch break,	
19	we would then have ISH rebuttal evidence, if any, and	
20	then with the usual round of questioning.	
21	So with that, I guess, Mr. Iannattone, since you	
22	are the chair of the ISH -- or, sorry, the Canadian	
23	Natural -- pardon me -- witness panel, have you got	
24	everybody present and accounted for? It looks like it	
25	to me.	
26	MR. IANNATONE:	I do, Madam Chair.

333

1 I would like to make a request before we start
 2 with the cross-examining. Yesterday, before the break,
 3 there was a question that was asked to CNRL. It was
 4 about Table 4-1 in 65.01, and during the break, we were
 5 to come back with an answer to that question, and we --
 6 we did not answer that question, so I wonder if it's
 7 appropriate to answer that question now.
 8 THE CHAIR: That would make sense to me,
 9 but let's -- it was in response to a question from ISH,
 10 I believe?
 11 MS. BERG: It was. And -- and that would
 12 be appreciated. Why don't we just start with that?
 13 Ms. Berg Cross-examines Canadian Natural Resources
 14 Limited
 15 MR. IANNATTONI: Okay. Mr. Lavigne, please.
 16 MR. LAVIGNE: Good morning. Would we like
 17 to bring that exhibit up while we discuss it?
 18 MR. IANNATTONI: It's page 13 of 45, 65.01.
 19 MS. TURNER: One moment.
 20 MR. LAVIGNE: I believe it's page 13 in that
 21 document.
 22 Ms. Berg, would you like to repeat the question?
 23 Q MS. BERG: I believe the question -- and
 24 I don't have it in front of me, but it was regarding
 25 the number of wells or number of core that were pulled
 26 from the KN06 box for this particular table, if

335

1 the page for the hearing coordinator. Again, that's
 2 201, PDF 204.
 3 MS. TURNER: It's coming.
 4 MS. BERG: Yeah. No worries. First
 5 document today, so ...
 6 And if we could just -- oh, sorry. If we could
 7 just go to the bottom of the page, the last paragraph.
 8 Q MS. BERG: So you'll see there that it
 9 states: (as read)
 10 Further, a well located at the 10-01 contains
 11 monitoring for thermal compatibility
 12 purposes. The data collected to date
 13 supports no evidence that the shale barrier
 14 between the McMurray reservoir and the
 15 overlying gas-over-bitumen zone has been
 16 impacted. Observation data has been and will
 17 continue to be provided to ISH from this
 18 well.
 19 So my question is: What kind of data interpretation
 20 was conducted in October 2019?
 21 A MR. CRAIG: At that point in time, we
 22 would've had the recollection. We have the pressure
 23 and temperature trends that we would've started
 24 collecting in about March of 2019 until that time
 25 frame, and that would've been the data that was
 26 supplied to ISH.

334

1 recollection serves.
 2 A MR. LAVIGNE: Okay. Thanks.
 3 For -- yeah. So for clarification, yeah, the
 4 question I had is: How many cores for this table are
 5 from KN06, I believe?
 6 Q Okay. Yeah.
 7 A Yeah. So I apologize. I was confused. I was speaking
 8 to the mapping area that Canadian Natural submitted,
 9 which is larger than the KN06 box, so -- but to answer
 10 your question specifically, there are 12 wells in the
 11 KN06 box. 8 of them have core, 11 of them have image
 12 logs, and 7 wells were used to calculate the averages
 13 for the values in the table.
 14 Q Okay. Thank you.
 15 All right. I will begin, then, my next series of
 16 questions, and I -- the initial questions I'm not sure
 17 who -- who will be responding from CNRL.
 18 And so, Mr. Iannattoni, I'll -- I'll direct them
 19 to you, and -- and you can direct them to your team
 20 accordingly. So I'd like --
 21 A MR. IANNATTONI: Sounds good.
 22 Q So I'd like to begin with some questions regarding the
 23 10-01 well. If we could go to Exhibit 201, page 204,
 24 please.
 25 MR. IANNATTONI: Mr. Craig, please.
 26 MS. BERG: And it'll be on the bottom of

336

1 Q What is exactly CNRL's interpretation process when --
 2 when it collects that data?
 3 A So we are analyzing that data for any anomalous trends.
 4 I would -- I would point us towards the submission
 5 that -- it's tab -- sorry. I'll just find it here in
 6 my records if we want to bring that up. There is
 7 the --
 8 Q I could actually just go on to my next question if --
 9 A Sure, sure. I was going to try and refer to a tab that
 10 CNRL had submitted that had a -- the pressure trends
 11 and then a -- a table of our interpretation at the
 12 time, and I believe that would answer the question.
 13 At the time of --
 14 Q Okay.
 15 A -- August of 2019, our interpretation was that there
 16 was no integrity concerns at the 10-01 wellbore.
 17 Q Okay. And, sorry, that is on the record, then?
 18 A It's on page 49 of 1066, so I believe that's the CNRL
 19 submission, and that is exhibit number -- CNRL
 20 Submission 30-02.
 21 Q Sorry. Is that "30 dash" -- if it's 1066, I think that
 22 might be 48 -- 48.02.
 23 A Thank you for that.
 24 Q Yeah. All right. Thank you.
 25 How regular is your review process?
 26 A We look at these wells on a monthly basis.

337

1 Q Okay. Thank you.
 2 A So we collect the data, and it's available to us
 3 daily --
 4 Q Yeah.
 5 A -- coming to our data-collection system. We have
 6 access to the data daily. We have a formal review
 7 monthly.
 8 Q Okay. Thank you.
 9 If you could please go to Exhibit 48.02, PDF 48.
 10 And that's perfect. It's the upper one that I'll be
 11 referring to.
 12 So Figure 1 shows the 10-01 pressure and
 13 temperature history from March 2019 to July 2020 with
 14 significant events highlighted with red lines. The
 15 green temperature drops significantly in November 2019;
 16 correct?
 17 A Yes.
 18 Q Why would CNRL not flag that temperature drop as a
 19 significant event?
 20 A It was -- we're looking at responses that are related
 21 to the SAGD operation right now, currently, in nearby
 22 KN06, a couple hundred metres away, and we would see
 23 anomalous issues with temperature increases. So an
 24 issue with well integrity in this well may be indicated
 25 by a temperature increase. A temperature decrease is
 26 not a concern.

339

1 A MR. IANNATTONI: Mr. Craig can respond to that.
 2 Q Okay. Then we're going to go to Exhibit 81.01, which
 3 is the cement bond log report. And just the -- a few
 4 initial questions. So the cement bond logs included
 5 logs from January 2015; is that correct?
 6 A MR. CRAIG: That's correct.
 7 Q And my understanding is the logs he was examining were
 8 done during the work described in exhibit -- and I'm
 9 going to lay out the exhibit and note page numbers for
 10 the record. I don't need you to go there. I think you
 11 can take it subject to check, but it was during work
 12 described in Exhibit two oh -- 201 at pages 76
 13 through 84, which was CNRL's workover of the 10-01,
 14 and, again, as I understand it -- and you can take this
 15 subject to check -- that work to make the 10-01
 16 thermally compatible occurred between January 15th and
 17 January 23rd, 2015. Both zero MPa and 7 MPa pressure
 18 pass cement bond logs were run on January 20th. In the
 19 subsequent days, CNRL conducted two more operations.
 20 The thermal plug was run to 442 mKB, and the Wabiskaw B
 21 gas zone was reperforated. So my question is: Does
 22 CNRL agree that either of those operations could impact
 23 the cement bond?
 24 A No. No, we don't agree.
 25 Q Okay. Could you elaborate on that.
 26 A The -- I'm sure ISH has reviewed that workover report.

338

1 Q All right. One moment, please.
 2 What is your explanation of that temperature drop?
 3 A Well, I believe that Mr. Leech's report submitted by
 4 ISH would indicate that's a Joule-Thomson effect with
 5 gas flow in the wellbore.
 6 Q Okay. Thank you.
 7 If I could get you to go -- happily, we're in the
 8 same exhibit, PDF 602. So that's just the first page
 9 of the CNRL Directive 54 presentation. The annual
 10 report presented to the AER was in September 2019, and
 11 my understanding is there's no recent 2020 D54 report
 12 available for Kirby; correct?
 13 A That's correct, as I understand.
 14 Q In this Directive 54 presentation, there's no mention
 15 of the Kirby North 10-01 monitoring data. Can you
 16 advise as to why?
 17 A I would -- I believe -- I'm not exactly familiar with
 18 the requirements of D54, but I believe we submitted all
 19 SAGD observational data within D54. We -- I'm not sure
 20 if there's a requirement within D54 to submit data from
 21 noncompliant wells -- excuse me, thermally
 22 noncompatible wells.
 23 Q Thank you.
 24 So my next line of questions are related to the
 25 cement bond log report. So, again, Mr. Iannattone,
 26 which member of your team would be responding to that?

340

1 It's certainly evident that the perforation operation
 2 would be on depth. So that would not impact the
 3 cement, the perforations that are in the Wabiskaw. And
 4 the setting of the patch is a -- it's a low-pressure
 5 job execution, so there would be no reason that
 6 would -- that would cause a cement integrity issue.
 7 Q Does CNRL agree that the act of running a pressure pass
 8 of 7 MPa could impact the cement bond?
 9 A Again, no, we would not say that it's going to impact
 10 the cement bond. The reason I -- I say that is that
 11 when that cement was placed, if you review the drilling
 12 record, the cement plug was bumped to -- I don't have
 13 exactly in my -- in front of me here, but I believe it
 14 was 5-and-a-half or 6 MPa, so a 7 MPa pressure pass
 15 would not impact that cement.
 16 Q All right. Could you please go to Exhibit 65.01 at
 17 PDF 16. And it's just going to be the first -- yeah.
 18 The top of the page is terrific. Thanks.
 19 So here, at the top of the page, CNRL states that:
 20 (as read)
 21 The McMurray formation and Kirby Upper
 22 Mannville, Wabiskaw B [and, obviously, there
 23 was a preceding paragraph, but it indicates
 24 that] 50 percent of this interval indicates a
 25 good cement bond, and in the Kirby Upper
 26 Mannville II pool, 80 percent of this

<p style="text-align: right;">341</p> <p>1 interval indicates a good cement bond. 2 Now, the summary statements there, I note, are 3 significantly different compared to the recent CBL 4 interpretation report. And, again, that is at 81.01, 5 and we don't need to jump to that, but at page 35 of 6 that report, it indicates that the cement bond log can 7 be considered in the 100 percent range. 8 So just having regard to the differences, 50, 9 80 percent, 100 percent, would you agree that 10 interpreting CBL logs is subjective? 11 A Yes, we do agree it's subjective, which is why we had 12 two independent analysis happen. The 50 and 80 percent 13 numbers you see here were conducted by our 14 well-integrity experts in-house, and the report in 15 88.01 was, of course, a third-party submission. 16 However, both reports agree that there is, without a 17 doubt, hydraulic isolation. Even with 50 or 80 percent 18 of good bond, those zones are hydraulically isolated, 19 and there is no channel that exists behind pipe. 20 Q Mr. Craig, is a 3-foot amplitude tool -- excuse me -- 21 sufficient to investigate microannulus formed behind 22 cement and dry mud cake? 23 A I would say that bond logging is a standard practice. 24 I believe it is a requirement of several directives to 25 analyze bond logs and understand the cement placement 26 within the wellbores. And so the VDL tool would be a</p>	<p style="text-align: right;">342</p> <p>1 standard practice to -- to evaluate cement placement. 2 Q Just one moment. 3 Did you see that the static and the 7 MPa pressure 4 amplitude curves in the recent CBL report never reach 5 zero mb? 6 A I did not notice that. I have the log in front of me, 7 and I can check, but, certainly, I know that typically 8 you only run tools up as far as possible, and you may 9 not be able to pull the tool all the way into the 10 wellhead. That may be the reason why it's not pulled 11 all the way to surface. It's a length-of-tool issue. 12 Q Sorry. Did you -- okay. 13 All right. Do you agree that if both log passes 14 for the VDL show poor formation arrivals, the cement is 15 not bonding to the formation? 16 A I would -- I believe, and certainly the interpretation 17 stands, that there is sufficient arrivals that indicate 18 bond to formation. 19 Q But just in general, would you agree that if both log 20 passes for the VDL show poor formation arrivals, the 21 cement is not bonding to the formation? And I'm asking 22 you that as a general statement. 23 A I -- I think in general, that is correct, that if you 24 have poor VDL signals, you would suspect a weak cement 25 formation bond. 26 Q Thank you.</p>
<p style="text-align: right;">343</p> <p>1 A In this log, however, there are several intervals where 2 there are strong formation arrivals. 3 Q Thank you. 4 So it's fair to say that many surface casing vent 5 flow wells have excellent cement bond logs; correct? 6 A I -- it's probably a safe statement. I don't have the 7 data to follow that up, but it's probably a safe 8 statement. There is surface casing vent flow in this 9 stream, yes. 10 Q And, Mr. Craig, are you familiar with case hole density 11 neutron logs or chat logs to run on wells with gas 12 channeling mysteries where CBL logs show good bonds? 13 A Yes. I believe there is a variety of tools that can 14 also be ran if there are well-integrity concerns, yes. 15 Q And has CNRL run chat logs before? 16 A I'm sure CNRL has. I don't recall the need to run a 17 chat log in the -- the length of time that I've been 18 involved in the Kirby North project, which is now six 19 years. But has CNRL ran them? I'm sure we have. 20 Q All right. Have you considered running chat logs in 21 the 10-01? 22 A No, we have not. 23 Q All right. Thank you. 24 I'm now moving to more general questions on 25 monitoring and review. And, again, Mr. Iannattone, 26 if -- I'll -- I'll let you listen to the question</p>	<p style="text-align: right;">344</p> <p>1 and -- and determine who on your team should respond. 2 So -- 3 A MR. IANNATONE: Thank you. 4 Q -- my first question involves -- if we could go to 5 Exhibit 2.01 again, page -- PDF page 58. And I 6 understand that this is the thermal wellbore compliance 7 assessment from CNRL's application, and, obviously, an 8 important part of the KN06 approval process is to 9 report on the status of wellbores within the area of 10 the drainage box. 11 So just in -- as a general question, does CNRL 12 believe that assessing wellbore compliancy is a 13 single-review process? 14 MR. CRAIG: Sorry, Gerard. You want me to 15 take this, I assume? 16 MR. IANNATONE: Yes, I do. Thank you. 17 A MR. CRAIG: Is it a requirement obviously 18 of our application? It's a -- so this data is 19 submitted once in the application. However, any wells 20 that are identified as thermally noncompliant and then 21 work is done to make them thermally compatible, 22 Canadian Natural, as I alluded to in the 10-01 example, 23 continues to evaluate the data that is being collected 24 from those wells, and, like I say, in the 10-01 25 example, that's obtained through daily data collection 26 and a review process.</p>

<p style="text-align: right;">345</p> <p>1 Q And so it's fair to say that CNRL understands that 2 wellbore integrity changes over time or could change 3 over time? 4 A That's specifically with wells that are not thermally 5 compliant, so they have casing or cement that would not 6 necessarily withstand thermal temperatures. CNRL 7 understands that we want to be monitoring those, yes, 8 that there is potential for those conditions to change 9 over time. 10 Q All right. If I could have you go to Exhibit 48.02, 11 PDF page 14. And it's just at the top of the page 12 there, yeah, so the second bullet under 'B'. So it 13 states there that: (as read) 14 There is no correlation between 10-01 15 pressure and temperature data and SAGD 16 operations of the McMurray formation, 17 therefore, confirming an effective barrier 18 between the Wabiskaw B and McMurray 19 formation. 20 So it's my understanding that the SAGD operations will 21 create conductive heating, which will increase core 22 pressure -- core pressures and temperatures above the 23 steam chamber. What are the alarm conditions set 24 for -- for pressure temperature increases at the 25 10-01 well? 26 A There is no alarm in place on the 10-01 data set. We</p>	<p style="text-align: right;">346</p> <p>1 are collecting the data and analyzing for inflexions in 2 the trend, but there's no alarm set. 3 Q All right. Given the dynamic nature of the pressures 4 and temperatures reflecting the GOB zone channelling 5 gas throughout 2019, how could CNRL conclude that there 6 was not a correlation with operations in KN05? 7 A I believe that if you were to go to tab -- sorry, 8 page -- I hope I have the page number correct -- 48 9 of 106, it's Tab 008, and we have submitted -- 10 Q Sorry. 11 A (INDISCERNIBLE - OVERLAPPING SPEAKERS) 12 Q That's -- 13 A Okay. 14 Q Sorry. I'm just trying to get the -- the citation 15 right. So did you say -- did you mean forty -- 16 Exhibit 48, page 106? Is that -- 17 A Exhibit 48.02. 18 Q Yeah. Okay. And page 106? 19 A Sorry. I believe it's page -- I have page 48 here. 20 Q Oh, sorry. Page 48. Okay. 21 And, sorry, go on. 22 A So on the second plot is a comparison of the 23 10-01 pressures in the black line -- 24 Q M-hm. 25 A -- at the nearby pressures from the nearest well on the 26 KN06 pad. And, clearly, there is no correlation</p>
<p style="text-align: right;">347</p> <p>1 between pressures in the Kirby North KN05 pad and the 2 10-01 pressures. And I won't be able to recite the 3 paragraph, but ISH has also agreed that there is no 4 correlation between the 10-01 pressure and the nearby 5 McMurray KN05 operation. 6 Q Okay. One moment, please. 7 So, Mr. Craig, earlier you had stated that you are 8 looking for inflexions in the trend. What magnitudes 9 of inflexions are you looking for? 10 A We would be looking for anything that indicates a steam 11 chamber has impacted the 10-01 well. So we know that 12 the difference between our current steam-chamber 13 pressure in the green line is at least 2,000 kPa 14 different than what you see in the black line. So -- 15 and that order of magnitude would indicate that the -- 16 the barrier below the GOB or between the McMurray and 17 the GOB has been breached, and there's a -- there's an 18 issue. There needs to be a significant change to -- 19 a -- a significant inflexion point to indicate an 20 issue. Pore pressure increase would be a very slow 21 response, slow pressure increase, therefore, a slow 22 response. 23 Q All right. I have some questions on start-up operating 24 procedure. Is that you, again, Mr. Craig? 25 A Yes. I'll -- I'll attempt to answer the questions and 26 rely on my panel members to assist.</p>	<p style="text-align: right;">348</p> <p>1 Q Okay. So we're going to go to your opening statement 2 at 88.02, and if I could get you to go to PDF page 58. 3 So the AER, in its IRs, asked for clarifications 4 regarding details of CNRL's enhanced monitoring and 5 associated mitigation strategy. If your new enhanced 6 operating procedure, which I understand is outlined on 7 PDF page 58, had been in place for the KN02-041, I 8 believe -- I'm not sure if it's 041 or 04I -- 9 circulation start-up, would you have been able to start 10 this well below 6 MPa? 11 A So this -- page 58 is speaking to the controls that are 12 in place during circulation -- 13 Q M-hm. 14 A -- but they may not speak to the revised start-up 15 procedure. 16 Q Okay. 17 A So there was a statement that you made. I just wanted 18 to clarify. 19 Q Yeah. 20 A This well, it was started up using the revised 21 procedure. It's not conclusive that we are able to 22 remain below 6 MPa, this well and any well in the 23 field. We feel there's a higher likelihood of being 24 able to stay below 6 MPa, but it's not -- it's not a 25 given. 26 Q Thank you.</p>

349

1 We understand that gas lift to reduce fluid
 2 density in the well prior to increasing steam rate will
 3 lower the maximum circulation pressure BHP. With this
 4 mitigation procedure, would you need to go to 7 MPa?
 5 A Yes. So what I was attempting to articulate is that
 6 the additional gas to be implemented before significant
 7 steam volumes, that will reduce the hydrostatic column,
 8 but the ultimate pressure that's required to lift the
 9 fluid to surface is really dependent on the reservoir.
 10 So we always will attempt to start up the well at the
 11 lowest pressure possible. We're -- whatever that
 12 pressure is that lifts fluid to surface, there's no
 13 need to go beyond that pressure.
 14 Q All right. Thank you.
 15 If we could go to 88.02, PDF page 61. And I'm
 16 just wanting to use this more for illustration
 17 purposes. It's not so much a question regarding --
 18 regarding this particular page.
 19 So just with regard to bottomhole pressure, it's
 20 measured at the heel of the wells with a bubble too;
 21 correct?
 22 A During circulation, gas goes down the casing, and it's
 23 measured at the heel of the well; correct.
 24 Q Okay. So when a restriction or a plugging happens at
 25 the horizontal lateral, do you agree that pressure at
 26 the toe will be undetected and higher?

351

1 You should all -- yeah. Mr. Lavigne, you should
 2 have the invite to the breakout room.
 3 MR. LAVIGNE: I haven't received the invite.
 4 MS. TURNER: If you go to the bottom of
 5 your screen, it says "breakout room."
 6 MR. LAVIGNE: Yeah. I'm not seeing that.
 7 MS. TURNER: If you hover your --
 8 MR. LAVIGNE: Oh, I'm sorry.
 9 MS. TURNER: There.
 10 Madam Chair, we've sent a message to that breakout
 11 room letting them know that they should join on their
 12 own when they're ready.
 13 THE CHAIR: I did see that. I'm wondering
 14 if they're all familiar enough with Zoom to know how to
 15 do that.
 16 MS. TURNER: Right.
 17 THE CHAIR: Maybe you could send them a
 18 note with the instruction on how to do that and invite
 19 them back.
 20 MS. TURNER: Okay.
 21 THE CHAIR: It's been over five minutes,
 22 so ...
 23 MS. TURNER: I can email Mr. Scrimshaw.
 24 THE CHAIR: Okay.
 25 THE COURT REPORTER: I'm sorry. Did you want that
 26 discussion on the record?

350

1 A There is -- I don't believe our evidence indicates that
 2 we have observed plugging in the lateral section of the
 3 wells.
 4 Q But if that was to happen, if --
 5 A Yeah.
 6 Q -- if there was a restriction or plugging in the
 7 horizontal lateral, would you agree that pressure at
 8 the toe will be undetected and higher?
 9 A Is it -- am I able to communicate with my colleagues
 10 on -- on this issue?
 11 Q Sure.
 12 A That means do I request a breakout room? I'm not sure
 13 how that works.
 14 Q I'm -- I am not entirely sure how that works, and so I
 15 think we can ask Ms. Turner.
 16 THE CHAIR: Yeah. If there's a breakout
 17 room set up for them, you can send them to the breakout
 18 room.
 19 MS. TURNER: Anastasia, please have them
 20 assigned to that breakout room.
 21 So you should be getting a message soon. CNRL
 22 witnesses to join the room.
 23 MR. THOMSEN: And, Ms. Turner, if I could
 24 have an invite to the breakout room for my second
 25 log-in, please.
 26 MS. TURNER: Sure. There you go.

352

1 THE CHAIR: That's a good question. Sure.
 2 THE COURT REPORTER: Okay.
 3 THE CHAIR: Did you get it? If you got
 4 it, yes. If you didn't -- oh, here they are.
 5 MR. CRAIG: Hello.
 6 THE CHAIR: Welcome back.
 7 MR. CRAIG: Okay. Thank you.
 8 A MR. CRAIG: Yes. Thanks for the
 9 opportunity to break out there.
 10 So I think we acknowledge that in the highly
 11 unlikely scenario that there is a plug in the lateral
 12 section, that the toe pressure measurements could be
 13 unmeasured; the toe pressure could be unmeasured.
 14 We have the ability to observe -- or we -- we do
 15 have the ability to detect, possibly -- or this
 16 possible scenario, and that would be that our steam
 17 rate -- our steam injection pressure at surface would
 18 be climbing, attempting to squeeze steam into a shorter
 19 section of the lateral. So that would be an indication
 20 of a potential plug in the lateral.
 21 In Kirby North, we have not observed this in the
 22 96 wells that we started up, so I believe that the --
 23 the likelihood of this happening is significantly low.
 24 Q MS. BERG: Thank you.
 25 So a follow-up question: How would you know,
 26 then, if hydraulic fractures are propagating at the

353

1 toe?

2 A Well, we would need to have a significant time and

3 duration of steam injection at high rates that are

4 increasing this toe pressure above the 7 MPa and 8 MPa

5 fracture pressures. The -- the reservoir leak-off

6 would suggest that that's not going to be possible. If

7 we're going to get to that high a pressure, that plug

8 at those steam rates is going to dissolve. This

9 bitumen plug is going to become mobile when we're at

10 that significant-enough steam rate that would cause a

11 fracture.

12 Q Now, I'm going to just take one moment.

13 So, Mr. Craig, would it be fair to say that a

14 safety factor for the maximum operating pressure using

15 6 MPa would be a real mitigation measure for this?

16 A No. No, I don't. You know, I -- I think we -- I think

17 the evidence demonstrates that the 7 MPa pressure is

18 already a low risk, and reducing a pressure -- or

19 reducing the MOP from that 7 MPa pressure does not

20 significantly reduce the -- it does not significantly

21 reduce the likelihood of any fractures.

22 Q All right.

23 A I would --

24 Q Go ahead.

25 MR. IANNATTONI: If I could interject here.

26 Mr. Thomsen, do you have any comments?

355

1 Perhaps it's for you, Mr. Craig. I just -- I

2 wanted to go to the questions on maximum operating

3 pressure. And if we could first go to -- to

4 Exhibit 2 -- 2.01, page 228, and it's Table 1, the

5 Kirby North start-up data.

6 So you'll see there, sir, that there are three

7 wells with the highest-circulation start-up pressure

8 within pads KN02, KN03, and KN05; is that correct?

9 A MR. CRAIG: Yes.

10 Q Okay. So now I'd like you to go to 30.02, PDF

11 page 127. And on this page and, I believe, the next,

12 we have 96 wells listed; correct?

13 A Correct. Yes.

14 Q So I guess my question is: Why is there such a

15 discrepancy between the two tables? The -- the maximum

16 KN02 peak is 692 -- sixty-nine twenty-six from

17 KN02-O9P. Data from the first table does not appear to

18 conform with the second table.

19 A Right, right. So the question is: Why is the data

20 different between Tab 37 and -- and the submission with

21 the three wells? Is that the question?

22 Q Yeah.

23 A So when the data was submitted, the -- the three-well

24 table submitted in 2019, the -- let me back up one

25 step. I think I described that our pressure and

26 temperature in our data collection system is quite

354

1 MR. THOMSEN: Yeah. Thank you,

2 Mr. Iannattoni. I do.

3 A MR. THOMSEN: And so in our written

4 submission, we have had discussion about the use of

5 safety factors and also what is the -- what is the

6 intent of Directive 86 and Directive 51 and whether

7 those are appropriate to use.

8 And so, I mean, the -- the long and short of it,

9 in summary, the -- those directives have safety factors

10 that are applied for the life of -- of a well, for the

11 life of the operation, and the question with respect to

12 use of 7 MPa is for short periods of time, up to

13 14 days. And in practice, it's much shorter. We're

14 talking typically one or two hours, if it's used.

15 So the -- we have safety factors that are built

16 into the KN06 start-up plan. These safety factors are

17 incorporated in the form of short duration of use of

18 these pressures, a small injected steam volume that is

19 really -- all the steam is condensed, and it's really

20 just water, and then final -- finally, the monitoring

21 of injection rates and pressures. So Canadian Natural

22 has adequate mitigation built in with this and safety

23 factors that are incorporated with the start-up plan.

24 Q Thank you, Mr. Thomsen.

25 I now have -- and I, again, think that these are

26 questions for you.

356

1 frequent. It can be up to one-second intervals that

2 we're collecting a data point. And so when the data

3 was pulled out of our data historian in -- the summer

4 of 2019, I believe, was the time frame of the

5 three-well table. That data was taken -- average

6 pressure over every 30 minutes. So the data that you

7 saw at the table with three is 30-minute intervals

8 taking an average pressure.

9 The data that you see on Tab 37 is taking the

10 maximum pressure that the wells saw during circulation,

11 even if that pressure was only observed for five

12 seconds. So the reason why there's significantly more

13 wells on Tab 37 in the PDF that we're seeing right now

14 is because we're taking a more conservative approach

15 around the pressures that were observed in circulation.

16 The submission prior was taking some averaging over a

17 30-minute interval, which had the effect of reducing

18 the -- the maximum pressure that would've been

19 recorded.

20 Q All right.

21 A We -- we wanted to be as transparent as we -- as

22 possible with -- with the data that was submitted. So

23 that's how we got to Tab 37.

24 Q All right. Could I have you go to Exhibit 48.02. And,

25 sorry, I don't have the -- I'll see if I can find the

26 PDF page number. It's Tab 15B, but I'm not sure that

357	<p>1 they're marked that well on -- on the -- it's -- sorry. 2 I'm just going to confer. So is this Tab 15B of 48.02 3 or -- no, it's this one. And I'm -- I'm -- oh, it's 4 actually -- it's page 1066 of 1066. 5 So why are the injector depths listed on average 6 495 metres TBD and producers are 490 metres TBD? 7 MR. IANNATTONI: Mr. Craig? 8 A MR. CRAIG: Yes. The -- the total depth 9 TBD, why are the injectors -- or why are the producers 10 shallower than the injectors? I may need to take this 11 on a -- on a breakout or a -- come back to you with the 12 answer. I believe it has to do with the wells being 13 potentially toe up, but I'm right now just speculating. 14 It could just be an error where we flipped injectors 15 and producers. Could I -- could I take this question 16 away? 17 MS. BERG: So I'm -- I'm wondering -- 18 Madam Chair, I'm just wondering if it would make sense 19 for him to do that in a break. I -- I'm not -- I'm 20 fine if you want to confer with your colleagues 21 regarding this, but, yeah, I'm just wanting to do 22 what's most efficient. 23 THE CHAIR: Where are you in your 24 questioning, Ms. Berg? 25 MS. BERG: I -- I have just a few -- a 26 few left.</p>	358	<p>1 THE CHAIR: So you're thinking you'll be 2 wrapped up sort of by 10, ten after 10 or 10:15? 3 MS. BERG: About that, but it, of course, 4 depends on -- 5 THE CHAIR: Depends on the answer. 6 MS. BERG: -- the breaks and -- 7 THE CHAIR: Okay. I -- 8 MS. BERG: But I do -- sorry. Go ahead. 9 THE CHAIR: Okay. So I was going to say, 10 I've had a request for a break, so we could do it one 11 of two ways. So we can break now and come back, and 12 that would give Canadian Natural an opportunity to -- 13 to perhaps find the answer to this question and then 14 carry on, or we could carry on for a bit and then take 15 the break. 16 MS. BERG: Why don't we carry on for a 17 bit, take the break, and then I'll try to finish my 18 cross. And -- and -- and then do a very quick wrap-up. 19 Then -- and we can -- 20 THE CHAIR: Okay. 21 MS. BERG: Does that make sense? 22 THE CHAIR: It does. I was just saying, 23 I've had a specific request for a break -- 24 MS. BERG: Okay. 25 THE CHAIR: -- so for five or ten minutes, 26 and then we'll --</p>
359	<p>1 MS. BERG: Okay. And we'll see where 2 we're at. 3 A MR. CRAIG: The well did not -- sorry. 4 Just on this table, like, obviously, the wells have not 5 been drilled for KN06. These are the planned depths. 6 Q M-hm. 7 A Typically, we would expect to see injectors more 8 shallow than producers, and so, you know, they are 9 within that range that our -- our final TBD depths will 10 be in that 490 to 495 metres. So I don't know if that 11 answers any of the questions that you were going to 12 bring on, but please carry on. Sorry. 13 Q All right. Yeah. No. No problem. Thank you for 14 that. 15 And, yeah, if you want to confer with your 16 colleagues during the break and -- and add to that, I'm 17 sure that would -- we would all appreciate that. If I 18 could get you to go to Exhibit 88.02, PDF 43, please. 19 So I see here that the geo -- geomechanical model 20 runs with the assumption that the injectors are at a 21 depth of 477 metres. And so just having regard to 22 the -- the material on the last slide we looked at, 23 what will be the depth of the injectors? 24 A MR. THOMSEN: So why don't I take this 25 question here. 26 The 477 metres is a -- the shallowest point within</p>	360	<p>1 the liner as far as true vertical depth from surface. 2 As far as reconciling this with the previous figure, 3 we're going to need a break or an undertaking to -- to 4 answer that one. 5 Q Okay. 6 A But the intent with this is looking at the shallowest 7 well on the pad. 8 Q All right. I just had a follow-up question if we're in 9 88.02. So if we could go back to PDF page 58. 10 And, Mr. Craig, I believe this question will be 11 for you. So it's my understanding you said this well 12 was started with the new procedure, which means that 13 the BHP would be reduced to as low as possible with 14 lift gas; is that correct? 15 A MR. CRAIG: No. This well was not started 16 with a new procedure. Sorry to -- sorry if I wasn't 17 clear. This well was not. 18 Q Okay, okay. Just one moment, please. Okay. Just one 19 moment. 20 So, again, is it possible that this well could 21 have been started below 6 MPa with the new procedure? 22 A So I think that was the question that was asked before, 23 and -- 24 Q Yes, it was. 25 A -- and I tried to articulate that it depends on a 26 number of factors, and we would not conclusively be</p>

361	<p>1 able to say that this well would've initiated 2 circulation under 6 MPa.</p> <p>3 Q All right. Just some questions -- additional questions 4 regarding the 10-01. So we understand from CNRL's 5 evidence yesterday that CNRL believes the 10-01 had 6 been flowing until the hard stop on January 7th, 2020; 7 is that correct?</p> <p>8 A Yes. I believe ISH and CNRL agree on that fact.</p> <p>9 Q And you indicated you believe that ISH was producing 10 that gas; is that correct?</p> <p>11 A ISH is the operator of the 10-01 well.</p> <p>12 Q Did CNRL visit the 10-01 well site between March and 13 December 2019 to collect manual downloads of its 14 gauges?</p> <p>15 A Yes. We will -- we do collect manual downloads of the 16 gauges periodically. So we would have staff on-site, 17 yes.</p> <p>18 Q Okay. Just one moment, please.</p> <p>19 MS. BERG: So, Madam Chair, I believe 20 that those are all my questions, subject to any 21 follow-up from the response that CNRL will be working 22 on during the break. So thank you to the CNRL panel 23 for answering my questions.</p> <p>24 THE CHAIR: Okay. That's good timing. 25 So why don't we take a break now, and if we come 26 back at 10:30, Canadian Natural, will that give you the</p>	362	<p>1 time you need to sort out your response about the 2 apparent flip on that table?</p> <p>3 MS. BERG: And, actually, sorry, I was 4 just advised by my client that I will have one 5 additional question, which I will ask after the break.</p> <p>6 THE CHAIR: That's okay.</p> <p>7 MS. BERG: Again, it -- it should be, 8 like -- yeah. It'll be minimal time, and so --</p> <p>9 THE CHAIR: Okay.</p> <p>10 MS. BERG: Yes.</p> <p>11 THE CHAIR: So does ten -- if we go to 12 10:30, Mr. Iannatone, will that give your panel enough 13 time to -- or I guess, Mr. Craig, you're the one who's 14 got to find it.</p> <p>15 MR. CRAIG: Potentially. I guess the 16 question is: Is this an undertaking and we can have 17 some other support staff dig through it, or is this 18 something that we need to do on our own? I guess 19 that's the little bit of question in the back of my 20 mind.</p> <p>21 THE CHAIR: Well, Ms. Berg?</p> <p>22 MS. BERG: Well, I -- I would ask that 23 you attempt to -- to address it through, you know, the 24 normal convening, but if it is something that obviously 25 cannot be -- be done with the team that you have in 26 place, then, yes, we'll take it by way of undertaking.</p>
363	<p>1 So if you could just advise after the break, that would 2 be appreciated.</p> <p>3 MR. CRAIG: Sounds good</p> <p>4 MR. IANNATONE: Okay. Sounds good.</p> <p>5 THE CHAIR: Okay. So we're adjourned 6 until 10:30. Thank you. 7 (ADJOURNMENT)</p> <p>8 THE CHAIR: So it looks to me like we have 9 everyone present. Are we ready to proceed?</p> <p>10 MS. BERG: I'm ready.</p> <p>11 THE CHAIR: Okay.</p> <p>12 MR. IANNATONE: Madam Chair, we would like to 13 ask for an undertaking, but I have a question first. 14 We were considering an undertaking and bringing 15 the information in tomorrow morning, but if we do that, 16 is the panel -- will the panel remain under oath until 17 then?</p> <p>18 THE CHAIR: On undertaking -- on an 19 undertaking -- so you mean under oath? Do you mean so 20 that they can't talk to anybody else, or are they still 21 sworn?</p> <p>22 MR. IANNATONE: But we can't talk with our 23 counsel?</p> <p>24 THE CHAIR: No. On an undertaking, you 25 could do what you need to do to answer the question; 26 although, you shouldn't be asking for legal advice from</p>	364	<p>1 the counsel. I don't know why your legal counsel would 2 need to help you with that question.</p> <p>3 MR. IANNATONE: Well, they don't. It's just 4 that if we're -- if we're going to be presenting 5 closing statements tomorrow, I need to participate in 6 that process.</p> <p>7 THE CHAIR: Absolutely. You can 8 participate in that process, which then raises my 9 second concern, which is since tomorrow is our day for 10 final argument, it's entirely possible that Ms. Berg 11 wants to see the response to the undertaking before she 12 finalizes final arguments, so tomorrow morning is -- 13 Oh, yes, Ms. Jamieson?</p> <p>14 MS. JAMIESON: Yeah. If I could assist, I 15 actually think that the response to the undertaking 16 could be put together this afternoon and filed by the 17 end of the day and that, therefore, we would get it on 18 the record for Ms. Berg's benefit for the closing 19 argument, and it would allow us to move forward with -- 20 I do need to be able to work with the Canadian Natural 21 witnesses to prepare our closing remarks.</p> <p>22 THE CHAIR: Okay. So, Ms. Berg, would 23 that work for you?</p> <p>24 MS. BERG: Yeah. That's -- that's fine.</p> <p>25 THE CHAIR: So let's proceed on that 26 basis.</p>

365

1 But also, Ms. Berg, we need, then, for the record
 2 the -- the specific wording for the undertaking that
 3 you want the panel to have, Ms. Berg. So can you do
 4 that for us.
 5 MS. BERG: I can. And so the question,
 6 it related to Tab 48.02 -- sorry, not tab, but
 7 Exhibit 48.02, Tab 15B. Why are the injector depths
 8 listed on average 495 metres TBD and producers 490
 9 metres TBD? And then, following that, there was a
 10 question: The geomechanical model runs with the
 11 assumption that the injectors are at a depth of 477
 12 metres, based on Exhibit 88.02, PDF 43. What will be
 13 the depth of the injectors? And so that, I think,
 14 would cover all of the questions arising from -- from
 15 that line.
 16 THE CHAIR: Okay. So, Mr. Iannattone
 17 or -- is that sufficiently clear for you to --
 18 MR. IANNATTONI: Yes, it is. Thank you.
 19 THE CHAIR: Okay. Thank you.
 20 Q MS. BERG: Okay.
 21 And so I just had, as I noted before the break,
 22 one additional question that I -- or a line of
 23 questions that I wanted to ask. So if we could go to
 24 Exhibit 88.02, PDF page 20.
 25 Okay. So it's fair to say -- it's my
 26 understanding that CNRL has confidence in RST logs

367

1 developments. We take this data where we can. It's
 2 one of the benefits that Canadian Natural is able to
 3 leverage its large database of SAGD projects, and so we
 4 feel that this is representative, and because the
 5 reservoirs are so similar, this isn't required on KN06.
 6 Q All right. So given that -- I take it the answer is
 7 that there won't be RST logs for KN06, and there isn't
 8 an intent to drill an observation well for KN06. What
 9 will be the monitoring techniques used by CNRL to
 10 monitor steam-chamber vertical growth in a highly
 11 heterogenous -- heterogenous -- I should know this word
 12 by now -- environment such as KN06?
 13 A Our intent around observation wells is they're --
 14 they're drilled later on if there's a concern about
 15 recovery or -- or chamber development, and -- and so
 16 it's -- it's evaluated as we feel necessary.
 17 Q Okay. Just one moment, please. Just one moment.
 18 So, Mr. Lavigne, I just want to clarify that we
 19 understood your recent response. You indicated that
 20 there will be an observation well drilled later?
 21 A No, I didn't. It is -- it is -- some operators have
 22 used post-steam core to show that after, but I don't
 23 think you can drill an obs well into an active steam
 24 chamber.
 25 Q Okay. All right. We just wanted to --
 26 A Sure.

366

1 coupled with interpreted steam-chamber temperatures and
 2 that they're indicative of steam-chamber development;
 3 is that fair?
 4 MR. IANNATTONI: Jason Lavigne, please.
 5 A MR. LAVIGNE: I'm sorry, Counsel. Could you
 6 please repeat. Do we have confidence in the RST logs?
 7 Was that the question?
 8 Q Effectively, yes, that -- is it fair to say that CNRL
 9 has confidence in RST logs coupled with interpreted
 10 steam temperatures and that these are indicative of
 11 steam-chamber development?
 12 A I think that's fair, yes.
 13 Q Okay. So my question is this: How can CNRL run RST
 14 logs if CNRL does not drill an observation well in
 15 KN06?
 16 A The purpose of the inclusion of this RST log was to
 17 demonstrate the confidence that we have and using this
 18 as an analogue from a mature producing property.
 19 This -- this is -- this particular example in Tab 21 is
 20 from Jackfish, which occurs in the same reservoir
 21 fairway with the same -- very similar reservoir and the
 22 exact same confining strata. So we use this data as an
 23 analogue for -- for the KN06 pad. We believe that the
 24 results obtained in this RST log are representative of
 25 what we would expect at KN06, and, therefore, we don't
 26 feel it's necessary to do this on all of our

368

1 Q -- clarify that.
 2 A I apologize for any confusion.
 3 Q Okay. All right. I believe that those are my
 4 questions, and, again, thank you to the CNRL panel for
 5 responses.
 6 THE CHAIR: Thank you, Ms. Berg.
 7 So now I believe we have Ms. Hall up with
 8 questions from AER staff.
 9 MS. HALL: That is correct. Thank you,
 10 Madam Chair.
 11 Alberta Energy Regulator Staff Questions Canadian
 12 Natural Resources Limited
 13 Q MS. HALL: So my first set of questions,
 14 I believe, is for Mr. Sverdahl -- I hope I'm
 15 pronouncing your name correctly, sir -- on the seismic
 16 evidence that you provided yesterday. So Ms. Berg had
 17 asked you some questions about detailed seismic
 18 analyses that might provide insight into faulting and
 19 fracturing of the containment strata over KN06.
 20 Specifically, for the record, this is at the top
 21 of page 279 of the transcript from October 14th, 2020.
 22 You were asked whether Canadian Natural made use of
 23 pre-stack amplitude versus azimuth or velocity versus
 24 azimuth analyses to look for subtle directional
 25 amplitude and velocity variations within the confining
 26 strata. You responded that Canadian Natural did not

369

1 perform these analyses.
 2 So my question is: Do you agree that in some
 3 cases, such analyses can be used to characterize fault
 4 and fracture density and orientation?
 5 A MR. SVERDAHL: Thanks for the question.
 6 VVAz or AVAz are techniques that have been
 7 potentially used to -- to understand fractures in some
 8 areas. However, as recently as, I'd say, February
 9 2020, there's -- there was an article in the Leading
 10 Edge, which is the SEG, Society of Exploration
 11 Geophysicists, journal discussing -- discussing these
 12 techniques. The paper was called "A Skeptic's View of
 13 the VVAz and AVAz." The point I'm making here is these
 14 kind of techniques are, I'd say, at the bleeding edge,
 15 if not experimental, and -- and even in the academic
 16 world, there is questioning on the validity on these
 17 techniques.
 18 So, no, Canadian Natural has not used these
 19 techniques on this project, and we don't believe
 20 that -- the current state of the industry knowledge
 21 that they're applicable to use here.
 22 Q Okay. Thank you.
 23 A You're welcome.
 24 Q So my next set of questions is on -- or are on
 25 geomechanical modelling, specifically, I believe,
 26 Canadian Natural's internal geomechanical modelling.

371

1 Canadian Natural's geomechanical modelling has
 2 accounted for natural fractures or faults.
 3 A Sure. Thank you for the question.
 4 So the modelling that I've done from an
 5 integrity-of-the-confinement-strata point of view
 6 requires strength properties for that confinement
 7 strata, and as is typical for caprock integrity
 8 analyses, the material properties assumed for those
 9 zones is assumed to be a post peak or a weakened
 10 strength that accounts for the potential of having
 11 natural fractures present. So it is a conservative
 12 assumption from a strength point of view.
 13 Now, no faults were included in the model, and
 14 that was because no evidence was present to define
 15 those faults, from CNRL's point of view, and the same
 16 GEOSIM software and modelling approach has been used
 17 for other several other SAGD operations and operators
 18 that I've worked with. And in those cases, when faults
 19 have been included, it's because the seismic team can
 20 clearly see faults present on their seismic cross
 21 sections, which, for KN06, is not the case.
 22 Q Okay. Thank you.
 23 My next question is with respect to Exhibit 30.02,
 24 PDF page 34 at paragraph 154. Canadian Natural states
 25 that: (as read)
 26 It is commonly accepted that muds have higher

370

1 So I think these would be for Mr. Walters.
 2 A MR. WALTERS: That's correct.
 3 Q Okay. Thank you, sir.
 4 So Canadian Natural provides a summary of its
 5 geomechanical modelling and analyses in Exhibit 30.02
 6 at page -- PDF pages 36 to 38 and a report summarizing
 7 the workflow and major results of its geomechanical
 8 study at Tab 42 of that same exhibit, PDF pages 158 to
 9 178. At PDF page 25, paragraph 106, Canadian Natural
 10 states that: (as read)
 11 It is Canadian Natural's view that faulting
 12 is not a risk to the containment barrier at
 13 the KN06 box. Furthermore, the risk to the
 14 containment barrier from natural fractures is
 15 negligible due to the very low natural
 16 fracture density.
 17 Then at PDF page 29, paragraph 133, Canadian Natural
 18 states that: (as read)
 19 For the KN06 containment barrier, the
 20 geomechanical modelling is independent of the
 21 natural fracture distribution and intensity.
 22 This is because the geomechanical modelling
 23 assumes the material has a low strength
 24 appropriate for the presence of pre-existing
 25 discontinuities.
 26 So my question, sir, is whether you can clarify if

372

1 horizontal in situ stresses than sands due to
 2 higher Poisson's ratios.
 3 However, based on Tab 42 of Exhibit 30.02, PDF
 4 page 168, Table 2, it appears Canadian Natural's
 5 geomechanics modelling of start-up at KN06 used the
 6 same Poisson's ratios for the mudstone layers and the
 7 sandstone layers. Can you clarify Canadian Natural's
 8 view on the difference, if any, between the Poisson's
 9 ratio of mudstones and sandstones?
 10 A Sure. So just to clarify that table presented on
 11 page 168, the Poisson's ratio that was used there is
 12 the same for both the sand units and the mudstone units
 13 and so, really, from -- for all of the McMurray.
 14 And -- however, the -- what was discussed earlier in
 15 terms of the Poisson's ratio having an impact on the
 16 initial stress state is a stress initialization issue.
 17 So if materials have certain properties and,
 18 specifically, the Poisson's ratio, and those materials
 19 are laid down and a -- a load due to gravity is applied
 20 to them, then shales, which typically have a higher
 21 Poisson's ratio than sands in that gravity-loading
 22 analysis, will generate higher horizontal stresses than
 23 the sand.
 24 These properties that are presented in the table
 25 were more appropriate for the dynamic modelling of the
 26 process, and that's why there was no variation of

373	<p>1 Poisson's ratio for that table input.</p> <p>2 Q Okay. Thank you.</p> <p>3 A Yeah.</p> <p>4 Q Sorry. Did you have something more there, sir?</p> <p>5 A No. That's good. Thank you.</p> <p>6 Q Okay. So just a moment, please.</p> <p>7 So can you then explain how changing the Poisson's</p> <p>8 ratio in the model would change the prediction</p> <p>9 results -- could change the prediction results?</p> <p>10 A So in the modelling here that was performed, you know,</p> <p>11 all of the inputs were chosen to give a conservative</p> <p>12 estimate, and the model presented in the report and our</p> <p>13 submission was really focused on the problem of</p> <p>14 initiating and growing a fracture during the start-up</p> <p>15 period.</p> <p>16 So, in general, the Poisson's ratio has a minor</p> <p>17 impact on fracture growth. The stress gradient which,</p> <p>18 you know, as I discussed previously, can be linked to</p> <p>19 Poisson's ratio, has a larger impact on fracture growth</p> <p>20 because that's one of the fracture-containment</p> <p>21 mechanisms. So even though in the model here, I</p> <p>22 assumed the cost-to-Poisson's ratio, the fracture --</p> <p>23 the higher stress gradient in the mudstone layer was</p> <p>24 used as an initial stress state and so was present and,</p> <p>25 therefore, included as a stress-containment mechanism.</p> <p>26 But, in general, for the fracture-growth predictions</p>	374	<p>1 and fracture initiation, the Poisson's ratio has a very</p> <p>2 minor impact.</p> <p>3 Q Okay. Thank you.</p> <p>4 Okay. I now have a question about Exhibit 30.02,</p> <p>5 PDF page 34, paragraph 155. Here, Canadian Natural</p> <p>6 states that: (as read)</p> <p>7 The stress contrast between the McMurray post</p> <p>8 B2 reservoir and mid-B1 mudstone provides an</p> <p>9 impediment as it will constrain hydraulic</p> <p>10 fracture growth. The hydrostatic head of</p> <p>11 water between the mid-B1 mudstone and the</p> <p>12 shallowest KN06 well is 0.2 MPa.</p> <p>13 Can you explain how this hydrostatic head was</p> <p>14 calculated?</p> <p>15 MR. THOMSEN: Yes.</p> <p>16 And, Mr. Walters, if you're okay if I could jump</p> <p>17 in here?</p> <p>18 MR. WALTERS: Absolutely.</p> <p>19 Q Thank you, Mr. Thomsen.</p> <p>20 A MR. THOMSEN: So the hydrostatic head was</p> <p>21 calculated based off a true vertical depth difference</p> <p>22 between the shallowest wellbore and the base of the</p> <p>23 mid-B1 mudstone above that point.</p> <p>24 Q Okay.</p> <p>25 A So, specifically -- I think it's on the next page</p> <p>26 here -- we have the shallowest wellbore at 477 metres,</p>
375	<p>1 true vertical depth from ground level. And on this</p> <p>2 equation up in paragraph 154, it's 455 metres. So</p> <p>3 that's a difference of 22 metres, and hydrostatic head</p> <p>4 of water being 10 kPa per metre, that works out to</p> <p>5 0.2 MPa.</p> <p>6 Q Okay. Thank you.</p> <p>7 Can you clarify the -- the temperature of the --</p> <p>8 the injected fluid that was assumed for this</p> <p>9 calculation?</p> <p>10 A Right. So steam is being injected at a low rate, and</p> <p>11 between the wellbore heat losses and heat losses within</p> <p>12 the liner as well as significant heat losses within</p> <p>13 the -- the formation for -- I mean, if we consider a</p> <p>14 hydraulic fracture having an aperture of sub</p> <p>15 1 centimetre, there's a lot of surface area for heat</p> <p>16 transfer within the formation. So the -- at the</p> <p>17 wellhead we're injecting steam at low rates, and the --</p> <p>18 any steam vapour is going to condense and cool down, so</p> <p>19 we'd have warm or cold water in the reservoir.</p> <p>20 Q Okay. Just a moment, sir.</p> <p>21 Okay. Assuming the -- the temperature of the</p> <p>22 injected fluid remained high, was still</p> <p>23 high-temperature steam, would that affect the</p> <p>24 calculation of hydraulic -- hydraulic head?</p> <p>25 A If there was a steam chamber developed and so we had a</p> <p>26 portion of the reservoir at saturated conditions with</p>	376	<p>1 steam-vapour saturation, then the hydrostatic head</p> <p>2 would use a density of that steam vapour, and that</p> <p>3 would be less than 10 kPa per metre. However --</p> <p>4 MS. TURNER: Sorry. May I interrupt.</p> <p>5 Sorry. I just have to interrupt. I just want to make</p> <p>6 sure Ms. Jamieson is back in the call. Thank you.</p> <p>7 A MR. THOMSEN: However, for initiating steam</p> <p>8 circulation, we -- we do not have a steam chamber that</p> <p>9 has developed. The purpose of the steam circulation is</p> <p>10 to heat up the liquid between the injector and producer</p> <p>11 such that we could start to have a fluid flow with</p> <p>12 relatively small pressure differences through the</p> <p>13 porous media. So there is no steam chamber developed,</p> <p>14 and during circulation initiation, this is a</p> <p>15 liquid-filled system.</p> <p>16 Q MS. HALL: Okay. Thank you.</p> <p>17 And so I believe my last question is for</p> <p>18 Mr. Boone.</p> <p>19 DR. BOONE: Yes. Thanks.</p> <p>20 Q Hi, sir.</p> <p>21 In Section 8 of your report, which is at</p> <p>22 Exhibit 45, PDF page 197 through 199 -- I don't think</p> <p>23 that's quite correct, but you assess the risk of</p> <p>24 induced fractures during start-up breaching the</p> <p>25 containment barriers at KN06. On PDF page 197, in the</p> <p>26 first paragraph of that section, you state you</p>

377

1 evaluated that risk using the risk matrix provided by
 2 APEGA, which appears on PDF page 198 or, in larger
 3 form, on PDF page 188.
 4 In summarizing the results of your risk assessment
 5 on PDF page 199, you state that: (as read)
 6 Based on review of previous Kirby North SAGD
 7 well start-ups, it is conservatively
 8 estimated that there is less than a
 9 10 percent likelihood that a fracture which
 10 could potentially impair a Wabiskaw gas well
 11 will be induced at one or more of the KN06
 12 SAGD wells during start-up. [And that] After
 13 consideration of the stress and leak-off
 14 barriers to vertical fracture propagation
 15 between the SAGD wells and the Wabiskaw gas
 16 zones, it has been assessed that the
 17 likelihood of a fracture which could
 18 potentially impair a gas well propagating
 19 into the Wabiskaw gas zone is less than
 20 0.1 percent, and given the limited dimensions
 21 of any single fracture, the likelihood that a
 22 fracture actually does impair a gas well is
 23 less than 0.01 percent.
 24 My question, sir -- and I -- I know that you did go
 25 through this to some extent yesterday, but could you
 26 provide more detail on how these quantitative

379

1 effective, and that moves you down one category in
 2 terms of the risk assessment.
 3 And that's based on my personal experience and
 4 looking at the fact that there is a significant stress
 5 contrast in -- in all of the available tests in the
 6 area. And so there's high confidence there is a stress
 7 contrast there.
 8 The leak-off, similarly, there's clearly several
 9 formations there where fluid leak-off could occur. And
 10 so I made the -- the conclusion, I guess, that -- that
 11 that leak-off would also be 90 percent effective in
 12 reducing -- or in containment of a fracture. And so
 13 that moves you down one more category.
 14 And then, lastly, if you're looking at geometry --
 15 so -- and I think this could -- this may even be a 1 in
 16 100 hundred or 99 percent chance -- is that fractures
 17 really are local, and so a fracture that goes up from
 18 the -- let's say, one of the injectors or producers,
 19 its -- its imprint or area that it might impact above
 20 the KN06 pad might be something like 10 metres wide by
 21 50 metres long depending on the dimension of the
 22 fracture.
 23 So if you have a gas well, it would really need to
 24 be in that box, that 10-metre-by-50-metre box, and then
 25 you can look at that box relative to the complete size
 26 of the KN06 box there or at least the KN06 pad area,

378

1 probability values were calculated.
 2 A Sure. So the -- the quantitative portion of it is
 3 the -- or at least the initial quantitative portion is
 4 that -- assume -- it was assumed -- identified one
 5 fracture event out of 96 wells that previously started
 6 up at KN06. So that was 1 out of 96.
 7 As I read the questions put forward by the AER,
 8 they wanted us to look at the KN06 pad as a whole. So
 9 I -- I said, Okay. Any one out of -- any one of the
 10 18 wells could fracture. And so 18 over 96 gives you
 11 approximately a 20 percent chance, okay, assuming 1 out
 12 of 96 times 18; right?
 13 Now, however, the volume that went into that
 14 fracture in the one identified case was really small.
 15 It was only 1.8 cubic metres. In order for a fracture
 16 to propagate up through the overburden -- or through
 17 the confining strata and impact a Wabiskaw gas well, it
 18 would likely have to be orders of magnitude in volume.
 19 So I conservatively made the -- the assumption,
 20 then, that there was a 10 percent chance of such a
 21 fracture actually occurring. Okay? So -- so that's
 22 somewhat less than the 20 percent but reflecting the
 23 fact that it's a much larger fracture.
 24 The -- the likelihood that -- that the stress
 25 containment will act to impair -- impair or contain a
 26 fracture, I assume that it would be 90 percent

380

1 and -- and it's probably -- that's about 1 percent of
 2 the box area -- or of the KN06 pad area. But I -- I
 3 assumed that it only reduced the risk by a factor of --
 4 of 10 percent.
 5 So in the end, that's how I get to the -- the
 6 final risk percentage.
 7 Q Okay. Thank you, sir. Those are all of my questions
 8 for you.
 9 And now I have some questions on -- I'm not sure
 10 if these will be for Mr. Thomsen or Mr. Craig, so I
 11 will ask the question, and, Mr. Iannatone, you can
 12 determine who is most appropriate to answer the
 13 question.
 14 So there was some discussion on this point earlier
 15 this morning, but at Exhibit 48.02, PDF page 14,
 16 just -- it's at the 'B' point there. We've seen this
 17 again already this morning. Canadian Natural concludes
 18 that pressure and temperature data at the 10-01 well
 19 does not indicate that SAGD operations of the McMurray
 20 formation are -- or does not indicate any correlation
 21 between the 10-01 well and SAGD operations of the
 22 MCMURRAY -- hydraulic formation, which confirms
 23 effective barrier -- ineffective barrier between the
 24 Wabiskaw B gas zone and the McMurray formation.
 25 So my question is: If communication did exist
 26 between the Kirby Upper Mannville II pool and the

381

1 McMurray -- understanding that Canadian Natural takes
 2 the view that it is not currently in communication, but
 3 if there were communication, what impact would this
 4 have on SAGD operations?
 5 MR. IANNATTONI: Mr. Thomsen.
 6 A MR. THOMSEN: Okay. Thank you for the
 7 question.
 8 So what impact would it have on the SAGD
 9 operation? So if there -- if there was communication
 10 between the two, some of the injected fluids would be
 11 flowing in some manner into that -- into the
 12 gas-over-bitumen pool. So we -- we would have some
 13 unexplained loss of fluids with injection. There's
 14 likely some insufficiency associated with that, so that
 15 could -- inefficiency would show up with a C model
 16 ratio.
 17 And as far as a water balance -- so I -- I was
 18 talking about the unexplained losses would be -- one
 19 thing that we do is we monitor differences between
 20 steam injection and water production. And our goal in
 21 Kirby North is a balanced operation, so we would expect
 22 a water-to-steam ratio around 0.98 to 1. So it's --
 23 it's fairly predictable.
 24 So am I answering your question, or have I
 25 answered your question?
 26 Q I believe so.

383

1 would simply shut down steam for the well that we're
 2 trying to initiate steam circulation with.
 3 So the -- the proactive approach is: If this is
 4 occurring during attempting to initiate steam
 5 circulation, we would shut down steam, and then we
 6 would assess and -- and evaluate what's happening.
 7 The -- the second issue or the potential risk that
 8 ISH has raised is flowing up the 10-01 wellbore, and
 9 so, again, we have -- we have downhole pressure and
 10 temperature monitoring in the 10-01 well, and so if
 11 this was occurring, we would be able to -- to see it
 12 with the downhole measurements. And so as far as
 13 mitigation, I mean, we would -- we would need to
 14 assess, sort out whatever the requirements are as far
 15 as a partner -- our plan with ISH and then ultimately
 16 affix the wellbore conduit in the 10-01 well.
 17 Q Okay. Thank you, sir.
 18 So I believe I am onto my final question. In --
 19 in its hearing submission at Exhibit 29.01, PDF page 8,
 20 paragraph 7, ISH stated that: (as read)
 21 In the event of a breach of the barrier or
 22 top seal of the bitumen that results in steam
 23 entering the GOB zone, the gas zone will
 24 sour.
 25 Yesterday Ms. Giry clarified that this would happen
 26 through aquathermolysis. So my question is: If there

382

1 A Sorry. One other point. Let's say there was
 2 containment, and then there was a point where there no
 3 longer was containment, a flow of some manner started
 4 to go into the gas pool, that would also show up with
 5 our bottomhole pressures. And so with relatively
 6 constant steam injection, we would start to have
 7 decreasing bottomhole pressures. And so either -- and
 8 with the bottom water, I mean, our objective, our
 9 operating philosophy, is to have a steam-chamber
 10 pressure that's essentially balanced with the McMurray
 11 bottom water. Any decreases in the bottomhole
 12 pressure, our natural response would be to increase
 13 steam rates. So we would see an inflexion with steam
 14 injection into one or several wells.
 15 Q Okay. Thank you.
 16 So assuming Canadian Natural observed such impacts
 17 to its SAGD operations, what could Canadian Natural do
 18 to mitigate those impacts -- what, if anything, could
 19 Canadian Natural do to mitigate those impacts that
 20 would also mitigate any impacts to the GOB?
 21 A Okay. So I think there's at least two parts to this
 22 answer. The -- the first aspect is ISH has raised
 23 concerns multiple times about operating with thermal
 24 pressures above 6 MPa and up to 7 MPa, and as we've
 25 outlined in our IR responses to the AER, during this
 26 short period of time during initiating circulation, we

384

1 were communication between the Wabiskaw B and to the
 2 McMurray formation, could repressurization of the
 3 Wabiskaw B prevent souring of the GOB?
 4 MR. IANNATTONI: Okay. I don't have any
 5 volunteers. Yeah. Can we take a breakout room on this
 6 one, please.
 7 MS. HALL: Ms. Turner?
 8 THE CHAIR: How long do you think you'll
 9 need?
 10 MR. IANNATTONI: Five minutes.
 11 THE CHAIR: Yeah. Sure. Ms. Turner, can
 12 you invite the Canadian Natural panel to join a
 13 breakout room?
 14 MS. TURNER: You should be able to join
 15 now.
 16 THE CHAIR: Okay. Thank you.
 17 MS. TURNER: It's just the first time, I
 18 think.
 19 Madam Chair, they should -- the witnesses should
 20 all be back in the main room now.
 21 THE CHAIR: Yeah. They appear to be.
 22 So, Mr. Iannattoni, do you have a -- oh,
 23 Mr. Thomsen is going to answer.
 24 MR. THOMSEN: Yes. Thank you.
 25 A MR. THOMSEN: Could the question please be
 26 repeated.

385

1 Q MS. HALL: Sure. If there were
 2 communication between the Wabiskaw B and the McMurray
 3 formation, could repressurization of the Wabiskaw B
 4 prevent souring of the GOB?
 5 A Thank you.
 6 So in order to answer this, I'm going to put
 7 hydraulic fracturing in the parking lot. My
 8 understanding of the question is that it's not related
 9 to a question of hydraulic fracturing. Let me know if
 10 I'm misunderstanding that.
 11 So if there were communication, there's -- there's
 12 two aspects to this answer. The -- the first one, that
 13 is, as far as repressurizing the gas over bitumen, I
 14 would say that's independent of -- of vertical steam
 15 chamber development, and so the confinement strata is
 16 an effective barrier. I think we've clearly shown
 17 that. But the -- we need to have an effective barrier
 18 to vertical chamber development irregardless of the
 19 pressure in the gas over bitumen. So that's Part A.
 20 Part B, hypothetically, if there is some open
 21 conduit in between the McMurray formation, the post B2
 22 reservoir and the Wabiskaw gas over bitumen, then the
 23 pressure difference between the two does matter. So if
 24 the GOB was repressurized -- and currently there is an
 25 upward pressure gradient, but if it was repressurized,
 26 theoretically, this could be a downward pressure

387

1 for Mr. Sverdahl or Mr. Lavigne.
 2 One of the potential risks being discussed is the
 3 communication pathways of conduits for fluids via
 4 faults or fracturing. Has CNRL conducted any
 5 semiregional studies of faulting patterns in the Kirby
 6 or the greater Kirby area utilizing other techniques?
 7 Examples would be, like, high-resolution aeromagnetic
 8 or HRAM to map out regional faulting geometries. And,
 9 if so, what were the results?
 10 MR. LAVIGNE: I was wondering if
 11 Mr. Sverdahl was going to answer that.
 12 A MR. SVERDAHL: We -- I think we have some
 13 aeromagnetic data within the area that -- that we do
 14 look at from -- from time to time here. I don't think
 15 we've conducted a -- a regional fault study, per se.
 16 However, we have noted faulting in -- in areas within
 17 our -- our thermal assets. Primrose is an example. We
 18 also have properties north -- north of Kirby North,
 19 Gregoire Lake, which is adjacent to Long Lake. We note
 20 that faulting is happening up there, significant
 21 faulting, likely due to -- to salt collapse.
 22 We do use regional publications. We included a
 23 figure from the AER/AGS Study 95 on -- on salt
 24 collapse. So we do incorporate that kind of work into
 25 our interpretations. However, we just -- we haven't
 26 seen any -- any issues of faulting over our operating

386

1 gradient on it between the gas over bitumen and the
 2 McMurray formation, and this would prevent any
 3 potential reservoir fluids or steam from flowing
 4 upwards through some hypothetical conduit -- open
 5 conduit into the GOB.
 6 That being said, the -- the volume of gas to
 7 repressurize the GOB is significant; it's large, to the
 8 point that we'd have to re-evaluate the economic
 9 viability of the KN06 development.
 10 Q Okay. I think those -- that answers all my questions,
 11 sir.
 12 And I believe that was the last of my questions
 13 for this witness panel. So thank you very much.
 14 MS. HALL: Those are my questions, Madam
 15 Chair.
 16 THE CHAIR: Thank you, Ms. Hall.
 17 So through the magic of alternate electronic
 18 communications, I know that Commissioner McKinnon's
 19 question or questions were answered.
 20 So, Commissioner Zaitlin, do you have any
 21 questions for the panel?
 22 DR. ZAITLIN: Yes, I do, Madam Chair. Thank
 23 you.
 24 Alberta Energy Regulator Panel Questions Canadian
 25 Natural Resources Limited
 26 Q DR. ZAITLIN: The first question would be

388

1 assets.
 2 Q And so nothing in the immediate KN06 drainage box area?
 3 A Nothing in the immediate area. I think we do notice on
 4 aeromag that there is some deep-seated anomalies to the
 5 north potentially, Snowbird -- Snowbird Tectonic Zone,
 6 but it does not appear to be at all an impact on -- on
 7 our -- our operating asset at KN06.
 8 Q Thank you very much.
 9 A Thank you.
 10 Q My second question would be directed to Dr. Boone.
 11 Does the orientation of the SAGD well pairs -- are
 12 they dependent on the regional stress regime, or is it
 13 solely a spacing issue associated with the bitumen
 14 distribution?
 15 A DR. BOONE: Sorry. Can you repeat that
 16 question, please.
 17 Q Sure.
 18 The orientation of the SAGD well pairs, are
 19 they -- have any dependency on the regional stress
 20 regime in the area, or is it because of other factors
 21 like spacing issues?
 22 A I'm maybe not the best person --
 23 Q Okay.
 24 A -- because I wasn't involved in the KN06 orientation.
 25 But just in general, I'm going to say geology rules,
 26 and you put your wells in the best reservoir at the

389

1 orientation that allows you to recover the most
 2 resource, and -- and stress generally is not a
 3 consideration --
 4 Q Is --
 5 A -- but it --
 6 Q Sorry. Go ahead.
 7 A But if one of the other CNRL folks wants to add to
 8 that, they can.
 9 A MR. IANNATTONI: Yeah. I -- I would just say
 10 that that answer is correct. We're orienting the
 11 wellbores to maximize the recovery, and we're not
 12 considering stress.
 13 Q Is stress a consideration on the fracability of the
 14 sealing units?
 15 A DR. BOONE: I can answer that.
 16 Definitely. Yes. Stress -- I think, as Mr. Thomsen
 17 said previously, stress really is the control on the
 18 fractures. The -- the material strength in resistance
 19 to fracturing is called "fracture toughness," but for
 20 rock, you can basically assume it's close to zero.
 21 Q Is there anything unique about what's happening in the
 22 KN06 area?
 23 A Not that I have seen.
 24 Q Okay. And the last few questions will have to do with
 25 Exhibit 88.02, if we can bring that up, please. And
 26 it'll be PDF page 10. So I think it would be for

391

1 post B2 valley -- as I alluded to under
 2 cross-examination yesterday afternoon, this cartoon is
 3 a -- is a very simple depiction of the internal
 4 architecture of the post B2 fill, and based on 3D
 5 seismic analysis of nearby reservoirs in the same
 6 valley fill, we do observe that there are multiple
 7 terraces within the post B2 fill, and when you examine
 8 the KN06 drainage box, it -- it does not occupy the
 9 entire incised valley fill of the -- of what's depicted
 10 here as the post B2 reservoir. And so there are
 11 non-reservoir older terraces that are -- that are
 12 preserved within the valley fill, and they would
 13 provide lateral containment of the reservoir.
 14 Now, when we -- when we look at the plan
 15 development, our well spacing is -- is 60 metres
 16 between -- between wells, and what we -- what we see
 17 over the -- when the -- when the pad reaches its -- its
 18 economic limit, the steam chambers have coalesced, and
 19 so what we look -- and that's within good reservoir,
 20 high-permeability reservoir. When we consider the
 21 effect of the lateral migration of steam outside of the
 22 main reservoir fairway, which the KN06 box is placed
 23 in, we would expect much slower lateral development of
 24 the -- of the reservoirs.
 25 And so even if we allowed for -- a triple the well
 26 spacing, say 180 metres, that's one of the reasons why

390

1 Mr. Lavigne.
 2 So we've -- we've had a look at this schematic a
 3 couple of times, both from CNRL and by ISH, and one of
 4 the observations would be, in the formation and timing
 5 of the post B2 reservoir and the non-reservoir IHS, is
 6 the bounding basal surface, which I'm going to call the
 7 "sequence boundary" going forward.
 8 So to Mr. Lavigne, is it possible for the sequence
 9 boundaries to have a sufficient reservoir quality to be
 10 a potential pathway for the migration of fluids away
 11 from the steam chamber in the KN06 box?
 12 A MR. LAVIGNE: Just for clarification, you
 13 mean laterally into what's depicted as the McMurray C
 14 in those diagrams?
 15 Q The sequence boundary would be from the base, along the
 16 side, and up into the interfluvium. And can the
 17 interfluvium then be intersected with another pathway
 18 that may cause a tortuous path of migration?
 19 A Okay. I'll take a -- take a stab at this. The --
 20 first of all, the -- the -- the basal unconformity cuts
 21 into the McMurray C. There are sands in the McMurray C
 22 that are lateral to that, but outside of the basal
 23 unconformity in the interfluvium regions, the B2 mud is
 24 preserved, and so it -- it provides sealing capacity
 25 outside of the -- of the unconformity.
 26 The -- there are also -- there are also within the

392

1 when we -- when we showed our mapping area, the mapping
 2 extent is much bigger than the box, and in the -- in
 3 the north-south direction, we -- we mapped 380 metres.
 4 So we think that it's -- it's -- that's a very
 5 conservative -- you know, it's -- we've -- we've looked
 6 well beyond reasonable reservoir. We've looked well
 7 beyond the lateral extent of reservoirs, and the -- and
 8 the KN06 box is placed in such a way that it's bounded
 9 laterally by non-reservoir facies, and so we think
 10 that -- we think that the -- the mapping extent
 11 laterally is -- is very conservative and -- and much
 12 larger than, say, three times the well spacing. So
 13 we -- we think that the steam chamber does not have any
 14 lateral ability to -- to leave the post B2 valley and
 15 pass through the unconformity.
 16 Overtop of the box, the -- the post
 17 B2 non-reservoir facies, although there are thickness
 18 variations within it and, as we discussed at length
 19 yesterday, there are variations in the sand content of
 20 the IHS units that cap the valley fill; however -- and
 21 I -- I would add that on 3D seismic, we actually see
 22 the abandonment plug of the -- of the upper tier, which
 23 is off into the north of the KN06 pad. And so we -- we
 24 have an idea about the size of the potential point bar
 25 deposits that -- that are on top and cap the reservoir,
 26 and we've mapped a continuous muddy to mixed IHS facies

393

1 across the entire post B2 valley fill. And so the
 2 upper tier also appears to be sealed.
 3 And so I'm not sure if I've gotten exactly to your
 4 question, Dr. Zaitlin, but I -- I believe that we've
 5 tried to demonstrate that laterally, away from the
 6 unconformity, there is a seal. Where the post B2
 7 reservoir unit may come into contact with the hummocky
 8 cross-stratified sands of the upper B2 regional
 9 sequence, the permeability differences are -- are --
 10 are quite profound, and we don't feel that there's the
 11 potential for lateral leakage of the steam chamber that
 12 way.
 13 Q Thank you. Thank you very much for that.
 14 Can we just turn to PDF page 14 now. So if I
 15 understand you correctly, you have the valley and
 16 terrace geometries laterally to the main system, and
 17 then within the system, within your post B2 reservoir,
 18 like in your type well here at 11-01, you have a
 19 15-metre-thick sand package broken up to three 5-metre,
 20 roughly, thick sands, and on the GC-MS plot that you've
 21 showed us, that you've circled, there is a potential
 22 barrier between the top and the middle of those two
 23 sands; correct?
 24 A Yes.
 25 Q That's right.
 26 So each one of those are individual channels or

395

1 there similarly is the potential to misidentify the
 2 unconformity if it happens to sit on McMurray C sands.
 3 But in the case of Kirby North in KN06, the bottom
 4 water is higher in this area compared to Kirby South,
 5 and that effectively pushes you up out of the
 6 complicated architecture at the bottom.
 7 In -- one -- one comment that was raised yesterday
 8 is that these are -- these are fairly narrow incised
 9 valleys on the order of, you know, maybe maximum
 10 2 miles wide, and yet they're 40 metres deep, and --
 11 and so the -- the proportion of, say, channelized
 12 thalweg facies to point bars is out of scale. And so
 13 I -- I think in -- in the Kirby North, Pads 1 to 4, I
 14 think we actually can sort of see the base of that
 15 meander belt, and it's about 15 metres. So the
 16 40-metre-deep incised valley is actually subdivided
 17 into 25 metres of clean sand, and then the point bar
 18 sequence on the top. When we look at the -- the
 19 abandonment plugs that we see at the top of the
 20 reservoir unit and we do the math on the width-to-depth
 21 ratios, we come out with the meander-belt thickness of
 22 around 12 metres or so.
 23 And so it appears like there's potentially another
 24 unconformity within the valley fill sequence, and I
 25 believe that that explains some of the GC-MS results
 26 where we seem to have multiple barriers even within the

394

1 point-bar-type sequences within the greater post B2
 2 reservoir. Did you just mention that you were able to
 3 map those out by utilizing 3D so that you have their
 4 distribution?
 5 A I would say not in KN06 but within -- within the -- the
 6 same valley system. So one of -- and I believe you
 7 touched on this yesterday in your questioning. Are
 8 these interpreted to be single 40-metre-thick incised
 9 valley fills, or is there more stratigraphy? And that
 10 would -- that would speak to potential barriers within
 11 the system, as you mentioned, you know, perhaps a
 12 series of, say, 5-metre-thick channel deposits.
 13 When -- when Canadian Natural first evaluated its
 14 Kirby South development in -- in the same architecture
 15 valley fill, it was assumed that all of the sand within
 16 the valley fill was -- was part of that. And it was
 17 difficult, perhaps, to pit the base of the incision to
 18 actually identify the unconformity -- the basal
 19 unconformity, and often at Kirby South, for example, it
 20 was a sand-on-sand contact, maybe with a breccia, maybe
 21 not. So there was a little bit of uncertainty picking
 22 that.
 23 However -- and so we -- we learned by examining
 24 the 3D seismic the -- the sort potential for terrace
 25 architecture within the valley fill, and so then we
 26 take it to north to Kirby North and specifically KN06,

396

1 post B2 fill. So I think that there's the potential
 2 for complexities that we may not be able to resolve
 3 in -- in particularly sandy sequences where discrete
 4 mud breaks are not -- are not present. And so we
 5 really do the GC-MS to evaluate the potential for
 6 the -- the compartmentalization of the reservoir.
 7 Q Thank you very much.
 8 One last question. When you're talking about
 9 you're his or your inclined heterolithic stratification
 10 associated with the point bars, are we talking about
 11 fluvial point bars, estuarine point bars, or, if we
 12 have more than one age, both?
 13 A Well, that is certainly a hot topic amongst academic
 14 circles these days. And, you know, I -- I was a part
 15 of the Ichnology Research Group at the University of
 16 Alberta, which, you know, initially had interpreted the
 17 presence of the brackish-water trace-fossil suite to
 18 indicate estuarine conditions.
 19 However, many years on with the incorporation of
 20 3D seismic from wide areas over the base and in
 21 specific areas, I think that we have seen that these
 22 incised valley fills, which occur at several different
 23 stratigraphic horizons in the upper McMurray, seem to
 24 show in the upper portions thalwegs that bounced from
 25 wall to wall within the valleys, and I think people
 26 like Professor Blum in Kansas would argue that that's a

397

1 completely fluvial morphology. And I think that we
 2 feel -- I tend -- I tend to agree with that, and I
 3 think that the most parsimonious interpretation is that
 4 these are completely fluvial systems, and in the Lower
 5 Cretaceous, the largely cylindrical-dominated suite is
 6 happening in purely fluvial settings. Because I don't
 7 think the 3D -- or, sorry, the planform morphology of
 8 the channels is consistent with any sort of estuarine
 9 conditions.
 10 Q Thank you very much.
 11 DR. ZAITLIN: Madam Chair, that's it for me.
 12 THE CHAIR: Thank you.
 13 I do have a few questions.
 14 Q THE CHAIR: So sticking with the theme of
 15 the GC-MS data, if we could pull up Exhibit 30.02,
 16 PDF page 18. Okay. Maybe not. Let's try that again.
 17 Oh, sorry. Page 109. There was the reference, and
 18 then there's the chart.
 19 So what I'm looking at -- I'm wanting to
 20 understand if I'm reading this correctly, and on the
 21 chart, it appears to me that there are no samples taken
 22 between the post B2 incision top and the red dashed
 23 line immediately below it that falls between 470 and
 24 465. Am I reading that correctly? Were there no
 25 samples there?
 26 A MR. LAVIGNE: Yes. It's a -- it's a

399

1 facility, and they have been known to not -- you know,
 2 we high-level vessels. Will -- will cause CPF upsets.
 3 So that's -- that's what we're discussing there.
 4 Q And then I'm -- so -- and I'm thinking back to some
 5 questioning earlier this morning. It's possible to
 6 start up at 6 megapascals, although in some cases
 7 perhaps not easily, but, operationally, it's -- it's
 8 preferable to start up at a higher pressure, if that's
 9 possible or appropriate in the circumstances?
 10 A So I would say we want to efficiently unload the wells
 11 as quickly as possible using the lowest pressure
 12 possible, and 7 MPa allows us to do that. That gives
 13 us the operational flexibility to have the wells unload
 14 in one or two or three or less -- or, you know, those
 15 amount of, you know, fluid slugs to surface, and if we
 16 are forced to limit ourselves to a lower pressure,
 17 we'll have these operational inflexibility, or we'll --
 18 we'll be assuming those -- that slugging period for a
 19 longer time.
 20 Q Okay. Thank you.
 21 So then in Exhibit 63.01, or -- sorry. It appears
 22 in both places, so I've got two different references.
 23 The easier one to go to is actually probably
 24 Exhibit 2.01 and PDF page 139, and I think it's
 25 paragraph 12, although since I don't see paragraph
 26 numbers, I don't know how I came up -- came up with a

398

1 mudstone-rich portion, and -- and I don't believe
 2 there's significant volume of hydrocarbons able to be
 3 recovered from that to do the testing.
 4 Q Okay. Thank you. I don't like to assume anything.
 5 On the same exhibit, PDF page 31 -- I don't think
 6 we need to turn to it, but we can if the person that
 7 Mr. Iannattone thinks should answer the question wants
 8 to -- there's a reference in paragraph 143 to:
 9 (as read)
 10 Circulation start-ups with bottomhole
 11 pressures between 6 to 7 megapascals allowing
 12 for operational efficiencies and smoother
 13 central processing facility conditions.
 14 And I would just like someone to elaborate on that for
 15 me.
 16 MR. IANNATTONI: Mr. Craig, please.
 17 Q THE CHAIR: You're muted, Mr. Craig. We
 18 can't hear you.
 19 A MR. CRAIG: Sorry about that.
 20 What we're -- what happens -- so when we're
 21 unloading wells -- when there's lower pressures being
 22 used, there are slugs that -- wells will slugs. So
 23 they'll have kicks of fluid to surface, kicks of fluid
 24 to surface, and then they will not circulate.
 25 So as we're unloading those wells, those slugs at
 26 surface cause pressure impacts at the plant, the

400

1 number. Maybe I'll just read what I'm talking about,
 2 and if you are concerned about the accuracy of my note,
 3 then we can -- I can get us to the right reference.
 4 But there was a comment: (as read)
 5 To the effect that although the lateral
 6 extent of IHS units had been estimated and
 7 modelled, operational issues will arise due
 8 to the uncertainty with the effective
 9 vertical and horizontal permeability
 10 encountered.
 11 And then there was a suggestion that some further
 12 modelling might be necessary or appropriate.
 13 So, again, Mr. Iannattone, I'll let you tell me
 14 who is the appropriate person to respond, but can you
 15 just elaborate on that for me in the context of whether
 16 that's simply related to steam-chamber development or
 17 something more. Again, I don't want to assume.
 18 MR. IANNATTONI: I think this is going quite a
 19 ways back here. I think we'd like to have a breakout
 20 on this one. Is that possible?
 21 THE CHAIR: Okay. Well, let's set that
 22 one aside. Rather than taking the break now, 'cause
 23 I'm looking at the time, let's set that aside for a
 24 minute. I'll go through my other questions, and then
 25 maybe what we'll do is take the midday break then
 26 before any redirect so that you can -- and then you can

401	402
<p>1 come back after the midday break and give me the answer 2 if -- 3 Ms. Jamieson, will that work for you? Okay. I'm 4 getting a nod. 5 MS. JAMIESON: Yes. 6 THE CHAIR: Okay. Thank you. 7 So, yes, you can -- 8 MR. IANNATTONI: And so -- 9 THE CHAIR: -- come back to me with that 10 one after the break. 11 MR. IANNATTONI: Just before we move on, can 12 you repeat the question one more time, please. 13 THE CHAIR: Okay. So there is a reference 14 in my note. Obviously, I have to go back and 15 double-check. It was that in Exhibit 2.01 at PDF 16 page 139: (as read) 17 To the effect that although the lateral 18 extent of the IHS units have been estimated 19 and modelled, operational issues will arise 20 due to the uncertainty with the effective 21 vertical and horizontal permeability 22 encountered. 23 And then I think there was a suggestion that further 24 pad modelling needed to be undertaken, and my concern 25 was -- I look at that and think, Well, that's got to do 26 with steam-chamber development, but I don't want to</p>	<p>1 assume that's the case. 2 Oh, Ms. Jamieson is waving at me. Yes. 3 MS. JAMIESON: I just want to -- if they're 4 going to work on this on the break, what I'm noticing 5 about the reference you did give, assuming it's 6 correct, is it's page 139 of 243. At the bottom 7 right-hand corner, it says "ISH Markit", which -- so I 8 believe it -- this -- if it is this reference, that 9 would've been a report filed by ISH in the early days 10 of this proceeding. And so -- so I just want Canadian 11 Natural's witnesses to be aware of that when they go to 12 look for the reference. 13 THE CHAIR: Thank you, Ms. Jamieson. 14 MR. IANNATTONI: If that's the case, is the 15 question still valid to CNRL, if it's an ISH document, 16 which it appears to be? 17 THE CHAIR: Well, let's hear -- so we can 18 do it this way. So let's -- 19 MS. BERG: Sorry. I might be able to 20 help. 21 THE CHAIR: Okay. 22 MS. BERG: It's my understanding that 23 this -- and I don't have the document in front of me, 24 but it's my understanding that this quote from IHS 25 Markit is in turn a quote from the original 26 application, but that is subject to check. So that</p>
403	404
<p>1 might be helpful to you and the CNRL witness. 2 THE CHAIR: Okay. Thank you. 3 So when you said the "original application", 4 you're talking about the original application for KN06? 5 MS. BERG: I believe so, yes. 6 THE CHAIR: Okay. Thank you. 7 So another question arising out of my review of 8 Exhibit 63.01, which, Mr. Iannattoni, is, in fact, 9 ISH's reply submission, but it raises the question 10 that, I think, only Canadian Natural can answer. It's 11 ISH's evidence that on May 22nd, 2014, Canadian Natural 12 requested ISH's agreement to abandon the 10-01 well. 13 So, again, I don't want to make any assumptions about 14 why that might've been the case. So I'm wondering if 15 that's correct from Canadian Natural's point of view 16 and, if so, why that request was made. 17 A MR. CRAIG: Yeah. So I can -- I can 18 answer that one. So as part of the KN06 application, 19 we, of course, did the thermal compatibility review. 20 The 10-01 well was flagged, obviously, as being not 21 compliant with the thermal operation, and -- sorry, and 22 this was not necessarily specific to KN06. This well 23 is within 300 metres of our KN05 pad. So it was 24 flagged back in 2014. 25 The requirement at the time was to mitigate those 26 wells, repair them, or abandon them prior to the</p>	<p>1 drilling of Kirby North, and so we engaged in 2 discussions with ISH at that time around potential 3 abandonment and remediation options available. 4 Q Okay. Thank you. That's helpful. 5 I'm just crossing off questions that I came to 6 that were answered. 7 So, Dr. Boone, I have a couple of questions that, 8 I think, are for you. 9 At one point in your report that's included in 10 Exhibit 30.02, I think you say that the barrier does 11 not need to be continuous over even the KN06 box to be 12 effective. Can you help me better understand what you 13 mean by that. 14 A DR. BOONE: Sure. 15 I -- I -- I don't recall exactly where I say that, 16 but, again, it relates back to if fractures are being 17 generated, they're -- they're local events. And so, 18 you know, as they rise up from -- from the wellbore, 19 they spread out, but they're going to spread out to 20 typically widths that might be 40, 50 metres, and -- 21 but they're very thin too; right? They're only, you 22 know, typically millimetres opening on these fractures. 23 So in order to be contained, there really only has 24 to be a local seal or a local barrier there, and, you 25 know, they -- it doesn't have to be a continuous 26 barrier over the pad like we would normally want if --</p>

405

1 for pressure containment because fractures, you know,
 2 really can't find tortuous pathways around the
 3 barriers.
 4 Q But to be -- for the barrier then to impede the course
 5 of the fracture, I mean, the geometry would be such
 6 then, if I understand you correctly, that the fracture
 7 actually has to meet the barrier. So if you have a
 8 barrier that's not continuous and a fracture that
 9 somehow misses the barrier -- I guess that's where I
 10 was a little confused.
 11 A No. I mean, that's correct. Now, if you're looking at
 12 a stress barrier, though, you know, what happens is
 13 in -- in -- in the -- in -- at least this is what
 14 people understand about stresses and having measured
 15 them -- is that they're sort of continuous through a
 16 given layer.
 17 So if you look at in particular -- like, that B1,
 18 which is a very muddy, sandy layer, within that, say,
 19 5 or 10 metres, you're going to have relatively uniform
 20 stresses, and because it's a relatively muddy zone,
 21 it's typically going to have a significantly higher
 22 stress than the sands below.
 23 And so you're not relying on the continuity of any
 24 single mudstone in there but more on the fact that it's
 25 a muddy sequence.
 26 Q Okay.

407

1 all ends up leaking off into the formation, and the
 2 fracture can only grow large enough to accommodate that
 3 leak-off. Okay? And so -- so when you hit a barrier,
 4 even a small barrier that -- in a reservoir like the
 5 McMurray sands causes the fracture to -- prefer to move
 6 sideways rather than upwards, then that really has an
 7 effect on limiting the fracture because of the combined
 8 leak-off and stress mechanism.
 9 Q Okay. Thank you.
 10 THE CHAIR: I'm crossing off all of the
 11 rest of my questions. Those are all my questions. And
 12 so now I have a couple of questions not for the -- for
 13 the Canadian Natural witness panel. So we have the one
 14 undertaking.
 15 You were asked to have time over break,
 16 Mr. Iannatone, to deal with one of my questions.
 17 And then I have a question -- Ms. Berg, are you
 18 going to be putting up a rebuttal witness panel?
 19 MS. BERG: Yes. We do have some rebuttal
 20 evidence for after lunch, so the witnesses will be
 21 ready to go.
 22 Madam Chair, I also wanted to note. You had
 23 earlier been looking at Exhibit 2.01, the -- and it was
 24 PDF 139, an excerpt from the IHS Markit report.
 25 THE CHAIR: Yes.
 26 MS. BERG: And so if we -- we did scroll

406

1 A And that whole sequence will have a higher stress.
 2 Q Okay. That's helpful, and that might actually be a
 3 good segue, then, to my next question, which is at
 4 page 191. I'm referring to page 191 of Exhibit 30.02,
 5 and I think it's Figure 3. It's the stress gradients.
 6 So --
 7 A Yes.
 8 Q -- my question is: When I look at this, it appears to
 9 me that in some -- let me phrase it this way. What is
 10 a -- what magnitude of difference in stress gradients
 11 is required or do you look for to then be able to say
 12 you've got an effective barrier to fracture
 13 propagation?
 14 A I would say -- and I don't think there's any magic
 15 number here, but I would say at least half a megapascal
 16 or -- and so -- or half a kPa per metre, sorry -- would
 17 be a barrier.
 18 And so -- and what happens is -- and -- and the
 19 fracture will rise. It'll encounter that barrier, and
 20 then it'll start to -- to spread laterally. And in
 21 particular with these fractures, which are -- they're
 22 water-driven fractures. They're steam-driven
 23 infrastructures. There's this trade-off between how
 24 far they can grow, and yet they're limited by the
 25 leak-off into the formation.
 26 So the amount of fluid injected into the fracture

408

1 up, we -- I have the page in front of me now -- that
 2 material was from AER Application 1712215 Kirby
 3 expansion project application December 2011
 4 supplemental information request to March 2013
 5 response.
 6 So I just wanted to clarify that for the record.
 7 It is CNRL material, but it's drawn from the -- the
 8 Kirby expansion project application.
 9 THE CHAIR: Okay. Thank you very much.
 10 That's helpful to myself and to Canadian Natural. I
 11 appreciate that.
 12 So we'll take a break for lunch, and then when we
 13 come back, Canadian Natural, do you have a response to
 14 that question? We can hear it, and then, Ms. Jamieson,
 15 you have an opportunity for any redirect, and then we
 16 will go to rebuttal evidence, if that works for
 17 everyone. Is that -- yeah? Are you nodding?
 18 MS. JAMIESON: Yes, it does. Thank you.
 19 THE CHAIR: Okay. So if we break till
 20 1:15, will that give everybody enough time? Okay. So
 21 we are adjourned until 1:15. Thank you.
 22 _____
 23 PROCEEDINGS ADJOURNED UNTIL 1:15 PM
 24 _____
 25 _____
 26 _____

409	410
<p>1 Proceedings taken Via Remote Video</p> <p>2 _____</p> <p>3 October 15, 2020 Afternoon Session</p> <p>4</p> <p>5 C. Low The Chair</p> <p>6 C. McKinnon Hearing Commissioner</p> <p>7 B. Zaitlin Hearing Commissioner</p> <p>8</p> <p>9</p> <p>10 S. Poitras AER Counsel</p> <p>11 A. Hall AER Counsel</p> <p>12 D. Campbell AER Staff</p> <p>13 S. Botterill AER Staff</p> <p>14 L. Chen AER Staff</p> <p>15 E. Galloway AER Staff</p> <p>16 S. Harbidge AER Staff</p> <p>17 T. Rempfer AER Staff</p> <p>18 T. Turner AER Staff</p> <p>19 A. Shukalkina AER Staff</p> <p>20 T. Wheaton AER Staff</p> <p>21</p> <p>22 L. Berg For ISH Energy Ltd.</p> <p>23 S. Hryciw</p> <p>24</p> <p>25 J. Jamieson For Canadian Natural Resources</p> <p>26 Limited</p>	<p>1 A. Vidal, CSR(A) Official Court Reporter</p> <p>2 S. Howden, CSR(A) Official Court Reporter</p> <p>3 _____</p> <p>4 (PROCEEDINGS COMMENCED AT 1:17 PM)</p> <p>5 THE CHAIR: Good afternoon, everyone.</p> <p>6 Again, I'm scanning my screen. So I see we've got both</p> <p>7 counsel.</p> <p>8 Mr. Iannattone, your panel -- for some reason, I</p> <p>9 have this feeling that we might be missing someone, but</p> <p>10 maybe it's just the different -- there we go. I was</p> <p>11 right. Whenever you're ready.</p> <p>12 Response to Undertaking by Canadian Natural Resources</p> <p>13 Limited</p> <p>14 MR. IANNATTONI: Okay. Madam Chair, I have a</p> <p>15 question for you regarding the undertaking. We have a</p> <p>16 verbal answer that we could provide now, or if you'd</p> <p>17 prefer, we could actually update -- we made a</p> <p>18 mathematical error in Tab 15B, the depth summary, so we</p> <p>19 can give a verbal answer now, or we can update that</p> <p>20 table and submit it later this afternoon.</p> <p>21 THE CHAIR: So I think the Tab 15B</p> <p>22 would've related to Ms. Berg's question; is that right?</p> <p>23 MR. IANNATTONI: That's correct.</p> <p>24 THE CHAIR: What would your preference be,</p> <p>25 Ms. Berg?</p> <p>26 MR. IANNATTONI: I would prefer to do it</p>
411	412
<p>1 verbally now.</p> <p>2 THE CHAIR: Sorry. I was asking Ms. Berg</p> <p>3 what her preference would be.</p> <p>4 MR. IANNATTONI: Oh, I'm sorry.</p> <p>5 MS. BERG: Yes. And I have -- I have no</p> <p>6 issue with Mr. Iannattone providing a response right</p> <p>7 now. I think it would be helpful as well just for the</p> <p>8 record if the correction could also -- a written</p> <p>9 correction could also be submitted, but, yes, no issue</p> <p>10 with having the provision of that answer now.</p> <p>11 MR. IANNATTONI: Okay. So we'll start with</p> <p>12 that with Mr. Thomsen.</p> <p>13 THE CHAIR: Okay.</p> <p>14 A MR. THOMSEN: Okay. So we'll start with</p> <p>15 Exhibit 48.02 and page 1066, so the tab is 15B. And</p> <p>16 there -- my understanding is there's two questions</p> <p>17 here. The first one is: Why are the injectors shown</p> <p>18 with a -- at a lower depth than producers? So as</p> <p>19 Mr. Iannattone mentioned, there was -- there was a</p> <p>20 simple calculation miss between the injectors and</p> <p>21 producers. For SAGD trajectory planning, the producer</p> <p>22 trajectories are planned out carefully, and we don't --</p> <p>23 so we don't create injector trajectories because when</p> <p>24 they're drilled, they're arranged off of the producer.</p> <p>25 So the -- the shallowest well on KN06 would be</p> <p>26 KN06 1 injector, and so the trajectory that's planned</p>	<p>1 for the KN06 1 producer -- I have it in front of me --</p> <p>2 this -- this trajectory from November 2019, the true</p> <p>3 vertical depth at the total of this well. So the total</p> <p>4 depth is 489 metres TBD from the Kelly bushing, and so</p> <p>5 that is consistent with Tab 15B.</p> <p>6 And so the -- the simple calculation miss was</p> <p>7 5 metres was added for the injector, and, instead,</p> <p>8 5 metres should be subtracted. So the correct total</p> <p>9 depth for the KN06 1 injector or 1I is 489 metres</p> <p>10 minus 5, so 484 metres is the -- is the correct value.</p> <p>11 And so this would carry forward for all of the</p> <p>12 injectors on the pad, just -- they should be 5 metres</p> <p>13 above the producer. So that is Part 1, as far as</p> <p>14 what's going on with this seeming backwards depth here,</p> <p>15 is the producers do have the correct depths listed, and</p> <p>16 it was just the injector true vertical depths; that</p> <p>17 simple mistake was made.</p> <p>18 So I believe the second part of the question is:</p> <p>19 Reconcile the difference between Tab 15B and -- and</p> <p>20 then the CNRL opening statement. There is a slide that</p> <p>21 shows the 477-metre depth for the stress profile. I</p> <p>22 don't have the exhibit number handy, off the top of my</p> <p>23 head, or the tab number, but --</p> <p>24 MS. BERG: I believe it's 80.02.</p> <p>25 THE CHAIR: The opening statement? It's</p> <p>26 88.02, I think, for --</p>

413

1 MS. BERG: Sorry. Sorry. Thank you.
 2 MR. THOMSEN: Okay. So, then, as far as the
 3 stress profile, there is a calculation using a depth of
 4 477 metres, so it fits the units. If we look, Tab 15B
 5 has units of metres true vertical depth from the kelly
 6 bushing. And for the geomechanics evaluation, we want
 7 to be accurate; we want a tight evaluation. So we used
 8 a depth from ground level, so metres from ground level,
 9 and that is included in our July 3rd, 2020, Canadian
 10 Natural written submission where we outline that.
 11 And so Tab 15B, KN06 11, the shallowest point of
 12 all KN06 wells is 484 metres from the kelly bushing.
 13 We have a kelly bushing to ground level difference of
 14 7 metres. So if we take that 484 metres minus 7, we
 15 end up with 477 metres TBD from ground level.
 16 So I believe that answers both those questions,
 17 but was that clear?
 18 MS. BERG: Yes. Thank you very much,
 19 Mr. Thomsen.
 20 And I don't have any follow-up questions, Madam
 21 Chair.
 22 Alberta Energy Regulator Panel Questions Canadian
 23 Natural Resources Limited
 24 MR. IANNATTONI: Okay, then. I'd like to ask
 25 Mr. Lavigne to answer the Panel Chair 's final
 26 question.

415

1 when the SIR was submitted, Canadian Natural had
 2 started up the development at Kirby South, but it was
 3 still early days, and we didn't have a lot of
 4 operational data back from that time.
 5 And one of the things that we learned -- and in
 6 the -- in the paragraphs that you mentioned in that
 7 Markit citation, they -- they talked initially about
 8 breccia, and -- and then they moved to IHS.
 9 So one of the things we learned really early on
 10 in -- in the development at Kirby South was that
 11 breccias can -- can be a problem, and they can become
 12 barriers to steam. And breccias were a factor in the
 13 AB/12-04 well that was referenced in the -- in the
 14 passage, and we learned -- we learned from operational
 15 data in Kirby South that we experienced nonconformance
 16 issues and poor start-up due to the fact that there
 17 were breccias in and around the injector producer
 18 level. And that necessitated re-drilling some well
 19 pairs to -- to get the steam chamber to get growing
 20 effectively.
 21 And as the economics of a SAGD project require,
 22 you know, fairly quick start-up, we -- we learned -- we
 23 learned some important lessons about geological
 24 heterogeneities. So after that, in the spirit of
 25 continuous improvement that -- that is an important
 26 core value to us, we substantially modified the Kirby

414

1 MR. LAVIGNE: Thank you, Mr. Iannattoni.
 2 A MR. LAVIGNE: Madam Chair, could -- could I
 3 get you to just sort of reframe the question just a
 4 little bit for clarity. I just want to make sure that
 5 I'm -- I'm speaking to the issues that -- that you
 6 raised. I was a little bit confused when I saw the
 7 passage.
 8 Q THE CHAIR: So my question was -- so it
 9 was the -- the passage that talks about: (as read)
 10 The lateral extent of the IHS units has been
 11 estimated and modelled, and operational
 12 issues will arise due to the uncertainty with
 13 the effective vertical and horizontal
 14 permeability encountered.
 15 So -- and then it's -- I believe it went on to talk
 16 about the potential for -- potentially a requirement of
 17 further modelling. So my -- when I read that, what
 18 I was wondering is: Are the operational issues and the
 19 modelling relating solely to the reservoir development
 20 and steam chamber, or is that -- are there broader, I
 21 guess, implications for that in respect of containment
 22 of the steam?
 23 A Okay. Thank you for the clarification.
 24 So to -- to address that -- and perhaps you've
 25 given me a little bit of latitude to provide some
 26 context to the question -- when the -- the -- the --

416

1 North IDA. And because of the heterogeneities that are
 2 described, we actually modified the drainage boxes, and
 3 there's no well pair in the -- in the region tested by
 4 the AB/12-04 well. So in -- in that well, probably a
 5 bigger problem was not the 1-metre mud bed that was
 6 referenced in that passage, but it turned out that
 7 overlying that area, there was about 18 metres' worth
 8 of mixed to muddy IHS, and we realized that that was
 9 not a reservoir. That is now -- and in the context of
 10 this hearing, that's what we classify as "post B2
 11 non-reservoir," and we -- we know from -- now from more
 12 recent operational experience that we can't get steam
 13 rising into that unit, and so the drainage box
 14 boundaries in KN02 were modified to avoid encountering
 15 that -- that particular feature.
 16 Speaking specifically to IHS beds referenced later
 17 in the passage, we -- we realized that lower down in
 18 the reservoir, down near injector producer level, the
 19 higher energy, sandier deposits that we discussed
 20 earlier in the hearing, they do not have the same
 21 lateral extent. It's once we get higher up into the
 22 reservoir and we start encountering the thicker,
 23 muddier beds that -- that we -- there -- the issues
 24 about -- from an economic point of view, that's why the
 25 steam -- the steam chamber stops there, and we no
 26 longer consider that reservoir.

417	<p>1 So after starting up the Kirby South, we learned a 2 lot about -- about what constitutes reservoir and what 3 will hold back steam chambers. So the modelling, I 4 believe, referenced in that passage refers to the -- 5 the geostatistical model, and we use that to help 6 forecast tight curves and things like that. So I don't 7 think that we -- I don't think that we would rerun that 8 model in the absence of new data, but it's made us much 9 more aware of where potential boundary conditions exist 10 for reservoirs. 11 I'm not sure if that fully answers your question, 12 Madam Chair. 13 Q It does. Thank you. 14 A Okay. 15 THE CHAIR: So, Ms. Jamieson, the panel is 16 yours for any redirect. 17 MS. JAMIESON: Thank you, Madam Chair. We 18 actually -- I did have a number of questions for the 19 Canadian Natural witness panel, but the AER staff and 20 the Panel has actually covered all of the same ground. 21 So I have no further questions for our Panel. Thank 22 you. 23 THE COURT REPORTER: You're muted, Madam Chair, by 24 the way. 25 THE CHAIR: My lips are moving, but nobody 26 can hear anything.</p>	418	<p>1 Thank you, Mr. Vidal. 2 So let me try that again. So I think with that, I 3 can thank the Canadian Natural witness panel for your 4 attendance and for your answers yesterday and today, 5 and you are now -- here's that phrase again that I 6 don't like so much, but it is what it is. You're 7 dismissed and free to -- to confer with -- with 8 colleagues, counsel, et cetera. 9 And, Ms. Berg, you're going to proceed with some 10 rebuttal evidence; is that the plan? 11 MS. BERG: We do have some rebuttal 12 evidence, Madam Chair, yes. 13 So I would -- 14 THE CHAIR: Sorry. Just -- 15 MS. BERG: Oh, sorry. Go ahead. 16 THE CHAIR: So I was going to ask our -- 17 in terms of logistics, so that means we need all the 18 Canadian Natural witnesses to go off camera and yours 19 to come on. 20 MS. BERG: So I would ask all of the ISH 21 witnesses to -- to put their cameras on, please, and 22 I -- if someone could let me know when that happens 23 because I'm not seeing everyone on my particular 24 screen. Everybody's on? 25 All right. Madam Chair, I would ask -- I believe 26 that the -- the entire panel has opted to be affirmed,</p>
419	<p>1 so if we could proceed with that. 2 VERONIQUE GIRY, PETER VERMEULEN, DAVID LEECH, EDWARD 3 MATHISON, EARL WARD, BRETT THOMPSON, JENNIFER CLEE, 4 Affirmed 5 Rebuttal Evidence of ISH Energy Ltd. 6 MS. BERG: Thank you. 7 I'd like to start with Mr. Vermeulen. 8 Mr. Vermeulen, I understand you would like to 9 respond to some new evidence provided by Mr. Sverdahl 10 yesterday. 11 MR. VERMEULEN: Yes. I would like to respond 12 to some of the evidence from yesterday regarding 13 seismic interpretation. 14 So by way of background, in CNRL's hearing 15 submission, a semblance slice was presented in time and 16 created from a post-stack migrated seismic volume at an 17 approximate mid-B1 mudstone level and was used by ISH 18 to point out several dissimilarity anomalies on this 19 slice. This is Exhibit 30.02, PDF 120. If it's 20 possible to bring that up, it would be appreciated. 21 Thank you. 22 In CNRL's opening statement, they presented a 23 different semblance slice to represent the same mid-B1 24 mudstone level. 25 Is it possible to bring up the unmarked version, 26 which is Exhibit 49.02, PDF 1113?</p>	420	<p>1 THE CHAIR: Do we need the page number 2 again? 3 MS. TURNER: Can you repeat the exhibit and 4 page number. 5 MR. VERMEULEN: It's Exhibit 49.02. 6 MS. TURNER: Yes. 7 MR. VERMEULEN: PDF 1113. And if we could 8 just keep both those tabs close together so that we can 9 toggle back and forth. Great. Thank you. 10 So noted as the preference of the Kirby project 11 geophysicist, this semblance slice was created from a 12 pre-stack migrated SAP seismic volume that had been 13 stretched to depth. This process, as CNRL noted, could 14 cause variations due to the velocity process of 15 converting the time-migrated version to depth. 16 So could we just toggle back and forth between 17 those two just so that the Panel can see the -- the 18 differences or the variations. Great. 19 So the time to depth stretch semblance slice was 20 mostly absent of the original dissimilarity anomalies 21 pointed to by ISH in their opening statement and 22 instead contained noticeable smearing in a 23 predominantly east-to-west direction. 24 If we could just go to the other exhibit. 25 CNRL went on to explain the absence of 26 dissimilarity anomalies, and enhancement of acquisition</p>

<p style="text-align: right;">421</p> <p>1 footprint was the result of the pre-stack time 2 migration's ability to be more focused. Focusing in 3 seismic processing indicates that images become more 4 clear and edges become sharper. Also, the modern 5 processing that CNRL indicated the 2008 Kirby North 3D 6 seismic volume had undergone is designed to maximize 7 the seismic signal and minimize or remove noise. 8 CNRL's semblance slice created from the pre-stack 9 migration that was stretched to depth saw the 10 dissimilarity anomalies become less sharp and, by 11 amplifying the acquisition footprint noise, made the 12 image less clear. CNRL's argument that the pre-stack 13 time migration tends to focus reflection events is 14 poorly demonstrated in their depth converted pre-stack 15 time migration semblance slice. 16 Without CNRL submitting more semblance slices 17 above and below the approximated mid-B1 mudstone level 18 created from the less noisy and arguably more focused 19 post-stack time-migrated volume, CNRL has not clearly 20 demonstrated that their seismic does not show subtle 21 faults and fractures. 22 When asked what further interpretation steps would 23 be taken after suspecting a fault on a semblance 24 volume, CNRL did not suggest a simple review of more 25 semblance slices, nor did they suggest to toggle their 26 time horizons to display amplitude, nor would they make</p>	<p style="text-align: right;">422</p> <p>1 use of the pre-stack time-migrated gathers to look at 2 how amplitude and velocity varies with azimuth. 3 Instead, CNRL has noted they would turn back to the 4 stacked seismic sections from which the semblance was 5 created to highlight faults for visual verification. 6 CNRL states in their geophysical cross-response 7 that they would easily recognize a 7-metre displacement 8 on seismic markers at the Wabiskaw B Paleozoic or 9 within the reservoir itself. 10 I find this an extraordinary accomplishment. With 11 100 hertz of dominant frequency at the McMurray level 12 in the 2008 Kirby North 3D seismic and using a velocity 13 range from 2,500 to 2,750 metres per second, which was 14 taken from the velocity model CNRL provided in 15 Exhibit 49.02, PDF 1116, geophysicists can calculate 16 the seismic wave to have a 25-to-28-metre wavelength. 17 With small velocity and density changes expected 18 across a 7-metre displacement in the Wabiskaw and 19 McMurray formations, the perturbation on this seismic 20 wave forming would certainly be extremely small. 21 Coupled with the expected vertical or subvertical 22 orientation of a fault and the 2008 Kirby North 3D 23 lateral trace spacing of 12.5 metres, the time 24 difference between adjacent traces would be less than 25 3 milliseconds on a stacked seismic section. 26 Add to this any random or known acquisition</p>
<p style="text-align: right;">423</p> <p>1 footprint noise that was insufficiently removed in 2 processing and that the 2008 Kirby North 3D seismic 3 acquisition geometry only produces 15 old data at the 4 Wabiskaw McMurray level makes CNRL's claim of 5 identifying faults with 7 metres of displacement on a 6 stacked seismic section truly remarkable. 7 The geophysical tools CNRL chooses to interpret 8 subtle faulting and fractures in the combining strata 9 forego significant geophysical and data analysis 10 advancements the industry had made in the last 11 20 years. Modern geophysical interpretation tools have 12 allowed for multiple attributes to be used in 13 combination to highlight features not visible by mere 14 visual -- visual inspection. 15 That's all I have to comment on the seismic 16 interpretation. Thank you. 17 MS. BERG: Thank you, Mr. Vermeulen. 18 Mr. Mathison, I understand that you would like to 19 respond to some of the new evidence provided by 20 Mr. Lavigne yesterday. 21 THE CHAIR: You're on mute, Mr. Mathison. 22 MR. MATHISON: Thank you, Ms. Berg. 23 I would like to respond to statements made by 24 Mr. Lavigne yesterday in the course of evidence in 25 cross-examination. 26 Would you please refer to 88.02, PDF 17. I think</p>	<p style="text-align: right;">424</p> <p>1 we may be out. Try 16. I think we may have the wrong 2 number here. There it is. 3 There's a core photograph on the right and a well 4 log on the left of the 1AA/11-01 well. You'll notice 5 that there is a red line in the core photograph at the 6 bottom, lower left-hand corner labelled "non-reservoir 7 base." 8 That's not the one. I think we're going to have 9 to get -- figure out where we are in this. I think we 10 may be -- go up one more, please. Yes. This is -- 11 this is the correct one. Sorry. My apologies. 12 You'll notice that the -- on the lower left-hand 13 corner, we have a red line marking "non-reservoir 14 base." 15 And now if we'll go to PDF 18. I'm hoping this is 16 correct. Yes, this is correct. What we're seeing, 17 really, is just an expanded view of the core, adding 18 core both below and above. The interval showed is 19 illustrated on the overlying well log. CNRL neglected 20 to mark the top of the reservoir which occurs at the 21 base of the core that is just above the 'R' in 22 "hearing." So in the caption below, if you'll go to 23 "Canadian Natural hearing," it's right above the 'R'. 24 So that's where that red line, the base of -- of 25 non-core or non -- non-oil -- or non-reservoir is in 26 that well.</p>

425

1 Without knowing this -- that this -- without
 2 knowing this, it would be difficult to state precisely
 3 where the top of this thick, sandy IH -- without --
 4 pardon me. Without knowing this, it would be difficult
 5 to state precisely where the top is, where the top of
 6 the reservoir is, as there are thick, sandy IHS above
 7 the boundary, and we can see just above in -- just
 8 above the 'R' and just above the 'G', we have some beds
 9 that are in several decimeters thick whereas we see
 10 below the boundary -- let's say just above the 'T' --
 11 we have some thin beds in there and certainly thinner
 12 than what we're seeing above the boundary.
 13 In -- in the Fustic, et al. -- and this is 30.02,
 14 PDF 95, and this is -- this was information that was
 15 presented by CNRL, and looking at the second paragraph,
 16 the first sentence -- I don't believe this is it. Oh,
 17 sorry.
 18 THE CHAIR: Can you repeat the exhibit
 19 number and the page.
 20 MR. MATHISON: Oh, yes. It's 30.02, and it's
 21 95.
 22 MS. TURNER: Yes. Thank you. We just have
 23 a computer-frozen issue.
 24 MR. MATHISON: That's -- that's fine. Thank
 25 you.
 26 And you'll notice in the second paragraph on the

427

1 submission, 88.02, PDF 19, and this is in gas
 2 chromatography-mass spectroscopy. That's correct.
 3 That's it. You'll notice that the chart in the
 4 left-hand corner is from Adams 2008.
 5 And with regards to this, CNRL has chosen to
 6 interpret the GC-MS -- oh. They have chosen -- oh,
 7 sorry. Pardon my -- okay. They have chosen to use --
 8 they have interpreted their GS -- GC-MS data in a
 9 manner consistent with Adam -- Adams 2008. In fact,
 10 you would see that it's very similar to the chart of --
 11 the four charts at the bottom of Adams. It's very
 12 similar to the chart that's farthest to the right,
 13 which is Image D.
 14 Now -- and moving on, they have chosen to ignore
 15 revisions made by Fustic, et al. -- and, of course,
 16 Adams was one of the authors in this -- which are --
 17 and this is based on data from the joint venture
 18 Athabasca sands project. It's a joint venture between
 19 Nexen and -- I forget now. Sorry. My apologies.
 20 Anyways -- so could we go to the Fustic, et al.
 21 30.02, PDF 92. Perhaps it's -- I'll get the correct --
 22 I have a page number 92. For some reason, ours -- so
 23 this is the 30 -- 30.02. Where is it? Oh, could you
 24 scroll down, please. Sorry. My apologies.
 25 Now, you'll notice -- you'll notice that in this
 26 diagram, they only have three diagrams, and the one

426

1 right-hand side -- so it starts with "visual," and I'll
 2 just read it out for you: (as read)
 3 Visual core investigation and log analysis
 4 cannot accurately predict the lateral extent
 5 and permeability of fluid migration and
 6 molecular diffusion through the reservoir.
 7 And to go on, so in response to this, the picking --
 8 the difficult of picking a precise top of reservoir, in
 9 particular where there's sandy IHS, is illustrated in
 10 their Exhibit 02.01, PDF 29. If we refer to that,
 11 please.
 12 Yes. Thank you.
 13 And this is what they used in the modelling.
 14 Where the sandy IHS, according to their modelling
 15 input, it clearly goes up to just below the lower B1
 16 boundary, we can see that in the 05 -- 1A -- is it
 17 "1A"? I can't read it off the screen. It's the -- the
 18 well at the far left-hand side and, to the certain
 19 extent, the next well over also.
 20 This is much higher than the previous well, so the
 21 11 -- the AA/11-01 well that we just looked at
 22 previously. Therefore, the pick of the top of the
 23 reservoir is inconsistent and cannot be considered as a
 24 continuous unit.
 25 Since the -- and this is moving on. Could I get
 26 you to bring up Adams. And this is a part of the CNRL

428

1 diagram that is missing is the one that most closely
 2 approximates what we see or what the -- the
 3 compositional gradients indicate in the AA/11-01 well,
 4 and I'll show you. The one that -- one that Fustic,
 5 et al. believe is -- is the valid evidence of the
 6 barrier is the -- the -- what their chart on -- on the
 7 right, "Chart C," and you'll notice what they see is
 8 a -- the trending up to the right of the gas -- of
 9 the -- the compositional gradient, and then a kickback
 10 over top where there is a barrier so that it doesn't go
 11 straight up. It comes back.
 12 And I'll show you an example. If you would please
 13 go to page 92. And this is right out of their work.
 14 Pardon me. Sorry. Wrong page number. Page 96,
 15 please. So it's just in this document but just down
 16 four pages.
 17 And could you bring up -- there. And you'll
 18 notice this is based on real-world data, and you'll
 19 notice that on the left-hand side, they are
 20 interpreting barriers between the various channel
 21 units, and you'll see that the -- you can see the two
 22 gradients going over from the same position; whereas,
 23 in the Well 2, you'll see the compositional gradient
 24 goes continuously up and bends off to the right, and
 25 this is going through two channels.
 26 And what may be of interest is that the channel on

429

1 the right has 17 metres of IHS; whereas, the channel on
 2 the left has 12 metres, yet the channel on the right is
 3 the stacked channels. On the right -- pardon me,
 4 are -- they -- they are interpreting it that there's no
 5 barrier between them. So even where you have very
 6 thick IHS, you can still get communication and -- and
 7 movement of fluids through those IHS.
 8 So to move on -- that's it for that. Now, please
 9 turn to CNRL 88.02, page 23. That's great. And could
 10 we zoom in on it a little bit. What I'm interested
 11 in -- I'll show you -- is this interval here that
 12 Mr. Lavigne looked at, and he -- yeah. He interpreted
 13 it as coring-induced fractures, saying it -- it looked
 14 like petal centre -- centreline fracture. Now, the
 15 problem that I have with this interpretation is that
 16 because the stratigraphy within this interval is
 17 virtually completely destroyed -- it -- you can't --
 18 you know, the typical stratigraphy is what we see on
 19 either side of -- of this core interval, and so,
 20 therefore, the -- the destruction of that -- that
 21 layering had to have occurred prior to the cementation.
 22 And -- and I think that in -- in all probability,
 23 although you can't say for certain because we do not
 24 have any geochemistry from this -- this -- this layer
 25 because the cores are gone, that I believe a more
 26 reasonable interpretation -- he -- Mr. Lavigne

430

1 interprets this as a concretion. I think it's much
 2 more likely that this is strata that has been totally
 3 destroyed by fluids that have accessed that zone along
 4 the fracture system. And, in fact, they probably had
 5 brought in the cementing medium with them, which is
 6 carbonate cement.
 7 And the only way we can resolve this completely is
 8 to have oxygen isotope and carbon isotope data, which,
 9 of course, are not available anymore. And you'll --
 10 if -- if this was coring-induced fracturing, we would
 11 expect to see these petal-centerline fractures to be
 12 open, and I -- I do not see -- other than maybe the
 13 centre, but I'm not even sure that's coring-induced.
 14 Perhaps it is, but -- but certainly in the overlying
 15 stuff, we do not see any -- any petal-like
 16 structures -- petal fractures coming off there, which
 17 we would expect to see.
 18 Could I turn your attention to PDF 24,
 19 Exhibit 82 -- 88.02, please. And this is a
 20 continuation of that -- we're just down below that --
 21 that core interval. We're down in what CNRL has
 22 interpreted as the "B2," and you'll notice the -- the
 23 base of the B2 occurs at -- right there, just to the
 24 top of the second column on the -- on the -- at the
 25 top. And the top of the B2 appears at the top of --
 26 top of the first column.

431

1 So that entire interval between those is
 2 considered to be part of the -- pardon me, the B1
 3 mudstone, what they referred to as the "mid-B1
 4 mudstone," you can see there; they have labelled it as
 5 such. But the interesting thing about this is that at
 6 the bottom of this, you'll notice the black zone, the
 7 dark zone, dark grey to black, and this is a
 8 carbonaceous mudstone. Even with just core
 9 photographs, it's evident that this is a carbonaceous
 10 mudstone. This cannot be part of the B1.
 11 You know, it -- it's -- yeah. I don't know how
 12 they can consider it that, but, anyways, we won't get
 13 into that, but certainly not. So if there's any
 14 B1 present in this well, it has to be much thinner,
 15 and, in fact, I don't -- and granted we are looking at
 16 core photographs, I don't see anything in here that --
 17 in -- in the overlying strata, it's looking to be a
 18 mid -- medium grey mudstone, but -- but I do not see
 19 any evidence of silty bioturbated zone. So, in fact,
 20 this -- the B1 may actually -- or the B1 mudstone may
 21 actually be absent in this well, which raises serious
 22 concerns about what is happening to cause that.
 23 May I address your attention to PDF 25, the next
 24 page, please.
 25 Now, this is, again, one that Mr. Lavigne chose to
 26 look at. And could I direct your attention to -- to

432

1 the Number 2, the -- the close-up of Number 2, which he
 2 interprets as coring-induced fractures.
 3 And you'll notice that at the base of this is a
 4 unit that he considers to be drilling mud. Now, it's
 5 ironic -- or it's unusual -- I have never seen it, and
 6 I've looked at hundreds of core in the Mannville and in
 7 the McMurray formation, and I have never seen drilling
 8 mud that looks like this. Drilling mud is generally
 9 the same colour as the mudstones above. It's brown --
 10 it's a grey. This looks a lot more like the -- the
 11 sand -- and you can see at the top of one, that sand.
 12 And I think the best interpretation -- and because we
 13 have -- we don't have the core, we have to make an
 14 interpretation -- is that this is actually a sand and
 15 that perhaps even that it's -- it's competent because
 16 it's stuck together, and there may even be a fracture,
 17 and I'll give him that. This could be a
 18 drilling-induced fracture in the sand. So to go on,
 19 you know, I don't -- don't believe his interpretation
 20 of that is correct.
 21 And, again, going to the -- can we zoom in just to
 22 the interval above the Box Number 2. So I -- I've
 23 pointed to it. We'll see if we can -- how well we can
 24 see that. We may have to bring up the -- the actual
 25 core photograph, which is -- and I don't know if I've
 26 got it. It's in the 02-01 well.

433

1 Excuse me for just one second as I look that up.
 2 My apologies. It's a -- page 39 of the annotated
 3 cores, which is 65.02. Is that correct? It's ISH's --
 4 or CNRL's submission. 53.02, is that correct? Yeah,
 5 53.02 -- pardon me -- and page 39, please. It's the
 6 same core. So we're in the right thing. Now we need
 7 page thirty -- 39, please. There we are. And could we
 8 zoom in on the -- I'll move the -- the -- yeah. So
 9 just this upper portion of the core, this is the --
 10 yeah. That's good. That's probably good enough.
 11 We'll probably lose resolution here.
 12 So this is the top of the box that Mr. Lavigne
 13 chose us -- chose for us to look at, and so we're --
 14 what I want to point to is that this interval above
 15 hardly looks like drilling-induced fracturing. You can
 16 see in this one you do have a nice orthogonal pattern.
 17 Well, it could be drilling-induced. This one doesn't.
 18 What this one looks like is -- is more of a -- just a
 19 broken-up piece of core, and you'll notice that there
 20 is a little bit of sands in interstices between these
 21 highly broken, fragmented core mudstone fragments. And
 22 I think that -- I think that a more reasonable
 23 interpretation is that -- of this is that what we are
 24 looking at is -- in the lower part, that these are
 25 probably natural fractures and that, as we move up,
 26 the -- the intensity of fracturing has increased to the

434

1 point of complete brecciation.
 2 Let's move on to -- okay. I would like to point
 3 out also that this is the same well that ISH presented
 4 the intense fracturing faulting, which I interpret,
 5 actually, as faulting, in the Paleozoic, and I'll give
 6 the reference -- I don't think we need to look at it --
 7 65.02, page 41, but you needn't go there, as well as
 8 the distorted strata in the McMurray A that Mr. Poitras
 9 referred to. And as well as that, Mr. Lavigne
 10 considered a large -- what I would -- he considered a
 11 large oversized clast. I would consider it just highly
 12 distorted mudstone beds in 88.03, page 33.
 13 So this was all in one well. It's -- to me,
 14 that's highly unlikely that you're going to get that
 15 degree of drilling-induced fracturing in one well;
 16 whereas, you don't see that intensity, for the most
 17 part, in other wells. We do see lots of evidence of
 18 fracturing, but this intensity is really anomalous.
 19 So moving on. And I'd like to refer to the
 20 hearing transcripts October the 14th, Volume 2,
 21 page 312.
 22 MS. TURNER: Mr. Mathison --
 23 MR. MATHISON: Did you get that?
 24 MS. TURNER: You would like us to share
 25 our --
 26 MR. MATHISON: Yes, please.

435

1 MS. TURNER: Just one moment. You said
 2 from October 14th?
 3 MR. MATHISON: Yes. October 14th, Volume 2,
 4 page 312.
 5 MS. TURNER: Okay. There's only 224 pages
 6 in Volume 2.
 7 MR. MATHISON: I must have the --
 8 MS. TURNER: You mean October 13?
 9 MR. MATHISON: It was the cross of -- of CNRL
 10 yesterday.
 11 MS. TURNER: Okay. So to -- from
 12 October -- sorry. From October 14th has 224 pages.
 13 MR. MATHISON: We must have a -- I'm not
 14 sure. It is a cross on the oil water contact between
 15 the two wells, 'K' to K Prime. I'll just refer to what
 16 I have here, and we'll -- we'll sort that out. Is that
 17 okay with you?
 18 MS. TURNER: Sure.
 19 MR. MATHISON: Madam Chair, we'll get the
 20 exact reference there.
 21 Let's -- could we go to Exhibit 29.02. And it's
 22 the 'K' to K Prime cross-section. It's part of ISH's
 23 submission.
 24 MS. TURNER: Do you have a page number for
 25 Exhibit 29.02?
 26 MR. MATHISON: There -- there's no page

436

1 number. There's only four --
 2 MS. TURNER: Okay.
 3 MR. MATHISON: -- four in there. Is that the
 4 'K' to 'K'? No. That's 'A' to 'A'. I think it's the
 5 last -- I believe it's the last one in the series.
 6 And -- oh, that is 'K' to K Prime. Yes, yes. We'll
 7 look at that. And could I get you to zoom in on the
 8 far right-hand side. I know we don't -- you don't need
 9 the -- no, no. Left. Do I have the wrong reference
 10 here? Ah, yes. There we are. There's the AA/06-01
 11 and the AA/07-01. We asked Mr. Lavigne to give us the
 12 oil water contacts in two wells, and he graciously
 13 complied.
 14 And I would like to, first of all, take a look at
 15 the 06-01. So could we do a close-up at the bottom of
 16 the well, just the very -- very -- we don't need to see
 17 what the well is. We know what they are. So just
 18 do -- and now scroll down, please. Yeah. There we go.
 19 A little bit more, please. Thank you.
 20 And so he -- he gave us -- he said that -- he gave
 21 us a depth of -- and this is directly from the
 22 transcript of "492 metres at a resistivity of 10 ohms."
 23 And when -- now, could we scroll over to the next well
 24 to the right, and this is the 7 -- the AA/07-01 well.
 25 When we asked Mr. Lavigne to give us an oil water
 26 depth, he responded by giving us two depths, at 498

437

1 and -- you can see that at 500 is the -- 500 is just
 2 almost right at the bottom of the well. I'll show you
 3 that. This is 500. And what Mr. Lavigne gave us was
 4 498, which is just 2 metres above this, and he said
 5 that it could be at 498 and that -- he said that there
 6 was a saturation gradient, and he responded that it
 7 could also be as high as 493.
 8 My pointer -- there it goes. So somewhere in
 9 there is -- is where he thinks that the oil water
 10 contact -- and I -- I would argue that -- that I think
 11 Mr. Lavigne has -- has made an error here, and if you
 12 look at this right here -- if you look right there and
 13 you go over and you read the ohms, this is -- this is
 14 our 10-ohm cutoff that he used on the 06-01 well. So
 15 that's 10 ohms, and you can see that, clearly, our oil
 16 water contact is below 500. In fact, it's closer to
 17 501.
 18 So if we take that information and we calculate
 19 that depth, we have KBs for both of these wells, and if
 20 you -- I don't think we need to go up and check that,
 21 but, you know, for people who would like to, they can
 22 see it on the -- on the well log. The depth for the --
 23 the 06-01 well is -- has a KB of 681.3, and the
 24 AA/07-01 well has a KB of -- of -- oh, where is it --
 25 six -- no. Pardon me. The AA well has a KB of
 26 679.1 -- excuse me -- and the -- the AA/07-01 well has

439

1 line 24 to 26.
 2 And we asked if he agreed that the oil water
 3 contact will represent a near horizontal surface at the
 4 time that the reservoir was filled, to which he
 5 replied -- and this is PDF 172, lines 4 to 10 -- it
 6 must have been PDF 71, the previous one, because it was
 7 just above this. Sorry. My -- again, my apologies.
 8 To which he replied: (as read)
 9 I think that this is a dangerous practice,
 10 especially since in -- in an -- oil sand
 11 reservoirs, after the charge, the degradation
 12 of the oil to bitumen happens very quickly.
 13 And so, essentially, that oil contact freezes
 14 in place. Any structural movement or changes
 15 to that after the fact has the effect of
 16 bending the oil water contact.
 17 So we're seeing what he calls a "bending" of the oil
 18 water contact, and this is a significant thing, and he
 19 also -- he mentions that structural movement can be --
 20 and, I would argue, is the most likely cause of this.
 21 The other thing that's of interest is this offset
 22 in elevation of oil water contact occurs at a steep
 23 gradient in the Paleozoic unconformity derived from
 24 seismic.
 25 Now, this is -- this is their seismic,
 26 Exhibit 29.02, PDF 11. Could I see that, please.

438

1 a KB of 681.3.
 2 So if you calculate out the water contacts, given
 3 the KB, it would -- the oil waters come out at -- in
 4 the AA/06 well is 187.1. So it's this well.
 5 Now, I must -- I must, first of all, explain that
 6 this cross-section is hung stratigraphically so that
 7 it's hung as close as we can be to what it was at the
 8 time of deposition.
 9 And so what we see in the oil water contacts is,
 10 shall we say, a fossil contact. Anyways, I'll go --
 11 and then I'll go over to the 07-01 well, and that works
 12 out to 180.4. So we simply subtract the two, and it
 13 indicates that there is a 6.6-metre difference in the
 14 oil water contacts between these two wells.
 15 And so from my experience on the western plains
 16 working all the way -- you know -- that's a significant
 17 offset, and although I'm not going to demonstrate it
 18 here, on other cross-sections in this area, we see
 19 those offsets not just at the Paleozoic, but we see
 20 them all the way up through the column getting up to
 21 the top of the Mannville -- close to the top of the
 22 Mannville. And in some instances, we see them at the
 23 base of fish scales. So those -- those are significant
 24 offsets.
 25 And I'd like to quote Mr. Lavigne from the record.
 26 Now, I'll say Hearing Transcript Volume 2, PDF 172,

440

1 Could we have that brought up, please.
 2 MS. TURNER: Did you say Exhibit 29.02?
 3 MR. MATHISON: Oh, it must be -- sorry. My
 4 mistake. 30.02, and it's PDF 11.
 5 MS. TURNER: Thanks.
 6 MR. MATHISON: I'm sorry. I must have the
 7 wrong number there. I'll get it for you. It's
 8 actually page one -- 118. My -- my mistake.
 9 MS. TURNER: Of Exhibit 30.02 for the --
 10 MR. MATHISON: That's correct. This is the
 11 one.
 12 And I'll just point to where those wells occur.
 13 So 06-01 -- AA/06-01 and AA/07-01. There's AA/07-01,
 14 and I think this is AA/06-01 back here, one of those.
 15 Do we have a map (INDISCERNIBLE - BACKGROUND NOISE)?
 16 There. That's what I need.
 17 It's actually between these two wells, AA/06-01
 18 and AA/07-01. Now, this is based on seismic and, I
 19 would argue, is far less precise than -- than using
 20 well logs and -- and actually see it, and we also have
 21 the core evidence. We can tell that.
 22 So between those two wells, we're looking at
 23 6 metres of offset, and I've shown you another
 24 cross-section, 'W' to 'W', that we have an 11-metre
 25 offset at Paleo and 7.5 metres up here.
 26 So, you know, clearly, their seismic is seeing

441

1 something coming through there, a linear feature, with
 2 a significant amount of offset, and that is reflected
 3 not only in the Paleozoic and overlying strata but also
 4 reflected in the oil water contacts.
 5 So this is -- this means that this feature,
 6 whatever you want to call it, whether we call it a
 7 "flexure" or whether we call it a "fault," is a late
 8 feature in that it's later than oil migration, which is
 9 considerably later than the deposition of the Mannville
 10 group and also after biodegradation. So the oil has to
 11 be frozen in place, and this is -- Mr. Lavigne has made
 12 that point already, and thank you very much.
 13 And in -- now, this is -- I think we'll just leave
 14 it at that. Well, I'll make one comment more, and this
 15 refers back to their submission earlier, but they have
 16 tried to dismiss this as differential compaction, but
 17 the difficulty that I have with that is there are
 18 actually thicker sands in some of these wells or
 19 equivalent sands in these wells, and so I -- I don't
 20 understand where you're getting this compaction from.
 21 If you're looking at sands in the -- the -- their
 22 post B2 valley fill that are equivalent in thickness or
 23 certainly in -- and, in fact, somewhat in part thicker,
 24 I don't understand how you can expect to get that
 25 differential compaction. Anyways, that's -- that's all
 26 I have to say.

443

1 record of this proceeding, and I also made a correction
 2 to that self-report in my opening statement.
 3 It seems that following the receipt of Mr. David
 4 Leech's report in this proceeding, that CNRL has now
 5 abandoned the allegation regarding the 10-34. Given
 6 that the evidence indicates that the gas had been
 7 flowing from 10-01, CNRL has changed its story. It is
 8 now accusing ISH on turning on the 10-01 well and
 9 producing GOB gas for a period of many months. The
 10 10-01 well is monitored by CNRL and located 700 metres
 11 from CNRL's plant. It is also our understanding that
 12 the 10-01 well was manually checked by CNRL during the
 13 period when gas was flowing from the GOB zone.
 14 These accusations are not true. ISH has not
 15 turned on production in any GOB well, including the
 16 10-01, the 10-34, and the 16-35. We are an ethical
 17 operator. I am the COO of ISH, and I would not
 18 compromise my integrity or my long career as an
 19 engineer in the oil and gas sector by allowing my
 20 company to engage in such profoundly unethical conduct.
 21 ISH continues to believe that there is a serious
 22 issue with the 10-01 well. That is the most reasonable
 23 explanation that fits the evidence regarding flow of
 24 the 10-01. ISH did not produce that gas.
 25 Yesterday, Mr. Iannatone referred to the
 26 confidential and without-prejudice meetings held since

442

1 And thank you very much, Madam Chair.
 2 MS. BERG: Thank you, Mr. Mathison.
 3 And then, finally, Ms. Giry, I understand that you
 4 would like to respond to some of the new evidence
 5 provided by Mr. Craig and Mr. Iannatone yesterday.
 6 MS. GIRY: Yes. Thank you.
 7 I would like to address allegations that we have
 8 heard in this proceeding regarding ISH and the
 9 deliberate production of GOB gas.
 10 Specifically, I want to address Mr. Craig's clear
 11 allegation yesterday and today that ISH, as the
 12 operator, shut in the 10-01 well on January 7, 2020,
 13 after having produced GOB gas. This is not the first
 14 such allegation against ISH. In its evidence filed in
 15 this proceeding in Exhibit 48.02, PDF 48, CNRL wrote
 16 about the voluntary self-report that ISH made regarding
 17 the 10-34 gas well. CNRL said -- and I quote -- "the
 18 data also provides evidence" -- that's the next page:
 19 (as read)
 20 The data also provides evidence that gas
 21 production from the Upper Mannville II pool
 22 may have been initiated prior to April 2019,
 23 and that production was shut in in January
 24 2020 as disclosed in ISH's notice of
 25 noncompliance dated January 15, 2020.
 26 For the record, ISH's voluntary self-report is on the

444

1 February 2020 and mentioned ISH Kirby
 2 asset/liabilities. I want to note that the licencing
 3 liability rating, the LLR, as defined by the AER, for
 4 ISH Kirby asset is around 1.7.
 5 We understood that when we began this appeal that
 6 this would be a hard fight with an entity like CNRL on
 7 the other side. However, I never imagined that CNRL
 8 would hurl out completely unfounded, very serious
 9 accusations that are clearly aimed at ending ISH as a
 10 company as well as ending the careers of senior
 11 personnel at ISH, including me. Thank you.
 12 MS. BERG: Madam Chair, that concludes
 13 the rebuttal evidence. The ISH panel is now open for
 14 questions.
 15 THE CHAIR: Thank you.
 16 Ms. Jamieson.
 17 MS. JAMIESON: Madam Chair, may I have five
 18 to ten minutes to confer with my clients?
 19 THE CHAIR: Sure. Let's take a ten-minute
 20 break. Well, let's take a break and reconvene at 2:45.
 21 MS. JAMIESON: Thank you very much.
 22 (ADJOURNMENT)
 23 THE CHAIR: We must be getting closer to
 24 the end of the day. The message we got from Ms. Turner
 25 at this time was simply "come back," not "we're ready
 26 for you," not "come back when you're ready," just "come

445	<p>1 back." So here we are. So, Ms. Jamieson, over to you.</p> <p>2 MS. JAMIESON: Good. Thank you very much.</p> <p>3 Ms. Jamieson Cross-examines Canadian Natural Resources</p> <p>4 Limited (Rebuttal)</p> <p>5 Q MS. JAMIESON: So I do have a set of</p> <p>6 questions, and they're really just for Mr. Vermeulen.</p> <p>7 Yes. Thanks for unmasking.</p> <p>8 So, Mr. Vermeulen, in your rebuttal evidence just</p> <p>9 now, you made a series of comments regarding Canadian</p> <p>10 Natural's seismic methodology, and I just have a set of</p> <p>11 questions to try to derive some clarity around that</p> <p>12 issue, if we could.</p> <p>13 So the first one -- I'd like to just bring up</p> <p>14 Exhibit 89.01 from yesterday. It was ISH's Aid to</p> <p>15 Cross-Examination Number 3. Thank you.</p> <p>16 So -- and this is not a field I'm very</p> <p>17 knowledgeable about, Mr. Vermeulen, so bear with me if</p> <p>18 I could, but I understood one of your --</p> <p>19 MS. BERG: Sorry. One moment. Oh,</p> <p>20 there. I was just wanting the exhibit to come up.</p> <p>21 Sorry, JoAnn.</p> <p>22 MS. JAMIESON: Thanks.</p> <p>23 Q MS. JAMIESON: I just understood some of your</p> <p>24 comments related to some of your earlier -- some of the</p> <p>25 earlier questions that Ms. Berg had about this</p> <p>26 document. So let's just give this a try.</p>	446	<p>1 So, first of all, the questions that Ms. Berg were</p> <p>2 asking related to this document, I understood as</p> <p>3 relating to workflow; is that correct?</p> <p>4 A MR. VERMEULEN: Yeah. Yeah, that's correct.</p> <p>5 Q I think I -- my recollection is the suggestion was that</p> <p>6 Canadian Natural, you know, wasn't following the</p> <p>7 recommended workflow that came from this Attribute</p> <p>8 Studio software. Is that -- am I on the right line</p> <p>9 there?</p> <p>10 A Well, it was just that -- the point, I guess, that ISH</p> <p>11 was trying to put across was that the Attribute Studio</p> <p>12 contains the entire workflow for advanced quantitative</p> <p>13 interpretation, and if CNRL made use of that -- that</p> <p>14 workflow was -- was really the -- the question.</p> <p>15 Q So you weren't suggesting the actual workflow is --</p> <p>16 this is a sales brochure. You weren't suggesting the</p> <p>17 actual workflow was in this document, were you?</p> <p>18 A No, no, no.</p> <p>19 Q And you could have, perhaps, provided a peer-reviewed</p> <p>20 workflow published in one of the journals that would've</p> <p>21 described the workflow?</p> <p>22 A I suppose I could've, yeah.</p> <p>23 Q Mr. Vermeulen, now, I appreciate just some of the</p> <p>24 confidential information requests, but I -- I don't</p> <p>25 think it's going to be a problem, but the request from</p> <p>26 the IR -- and I don't think we need to bring it up, but</p>
447	<p>1 we could, but our recollection was that you requested</p> <p>2 the pre-stack migrated volume. Can you confirm that?</p> <p>3 A I did, yeah. That --</p> <p>4 Q Right.</p> <p>5 A The SEG-Y volume?</p> <p>6 Q The actual data, the actual pre-stack migrated volume.</p> <p>7 A Yeah.</p> <p>8 Q Yes. So you requested that.</p> <p>9 And then would you agree that, in general, that</p> <p>10 pre-stack migration data is superior to post-stack for</p> <p>11 image faulting?</p> <p>12 A You know, in -- in general, I would agree with that</p> <p>13 statement, but after reviewing the semblance depth</p> <p>14 slice, I guess, that was created from the -- the</p> <p>15 pre-stack time migration, I would be concerned that the</p> <p>16 acquisition footprint wasn't sufficiently (AUDIO FEED</p> <p>17 LOST) in the processing, and so then I would -- I would</p> <p>18 say --</p> <p>19 THE COURT REPORTER: Sorry, Mr. Vermeulen. Your</p> <p>20 mic cut out a bit there.</p> <p>21 MR. VERMEULEN: Sorry.</p> <p>22 THE COURT REPORTER: If you could --</p> <p>23 A MR. VERMEULEN: I'll just repeat myself.</p> <p>24 The pre-stack time migration that was used to</p> <p>25 create the semblance depth slice, which demonstrated</p> <p>26 that there was still quite a bit or even an enhancement</p>	448	<p>1 of the acquisition footprint, would be of concern</p> <p>2 and -- and so that's what I would say about that.</p> <p>3 Q MS. JAMIESON: You're saying that that would</p> <p>4 be a concern, but you don't actually have any evidence;</p> <p>5 there's no evidence on the record that you could point</p> <p>6 to that in some way Canadian Natural's acquisition</p> <p>7 footprint was sufficient, can you? Is there evidence</p> <p>8 you can point to that would support that concern?</p> <p>9 A Well, the smearing on the -- the semblance depth slice</p> <p>10 would be, I guess, the evidence that would show that</p> <p>11 there is -- you know, compared to the post-stack</p> <p>12 migrated semblance time slice, you know, the -- the</p> <p>13 acquisition footprint was -- was quite a bit more</p> <p>14 pronounced on the pre-stack time migration.</p> <p>15 Q Okay. And then can -- I'd like to just ask you about</p> <p>16 resolution limits. How did you calculate your</p> <p>17 resolution limits?</p> <p>18 A Well, I -- I was basing this just on a simple</p> <p>19 back-of-the-envelope calculation based on the</p> <p>20 frequency, the velocity, and the depth of -- of</p> <p>21 displacement.</p> <p>22 Q Back-of-envelope frequency and -- sorry, what was the</p> <p>23 other part of your answer?</p> <p>24 A So the hundred-hertz dominant frequency within the --</p> <p>25 the Wabiskaw McMurray zone that was given yesterday,</p> <p>26 and then the velocity from 49.02, figure -- or Tab 4F,</p>

<p style="text-align: right;">449</p> <p>1 I believe. CNRL had provided the velocity model that 2 they -- they had used for the depth conversion. Yeah. 3 Q So I believe Canadian Natural actually said that the 4 frequency for the Wab and the McMurray was 105 to 110. 5 A Okay. 6 Q Do you recall that, sir? 7 A Yeah. I -- I do recall that, actually, yes. Five -- 8 like, 5 hertz would make a very minimal impact on -- on 9 my back-of-the-envelope calculation. 10 Q Now, can -- are you aware of the Rayleigh -- sorry, 11 excuse me -- the Rayleigh criterion, which I understand 12 is a quarter wavelength? 13 A Yeah, yeah. Tuning effect. I am -- I am aware of 14 that, yeah. And if you -- if you take the wavelength 15 that I provided and you divide it by four, then that's 16 sort of the -- the vertical resolution of the -- the 17 seismic. This is what would be considered the absolute 18 best-case scenario for -- for seismic or almost, like, 19 the theoretical. Once you throw in things like 20 acquisition footprint or -- or random noise and -- and 21 other things that are going to disturb your signal, 22 that changes. 23 Q Okay. And what about the Widess criterion resolution, 24 the detection limit; are you aware of what that is? 25 A Could you clarify for me. 26 Q Well, my understanding --</p>	<p style="text-align: right;">450</p> <p>1 A Is that the lateral -- like, are you -- 2 Q Yeah. 3 A -- referring to lateral resolution? Yeah, yeah. Okay. 4 Q Yes. And what would it be? What's the limit of 5 detection? 6 A You know, in -- in this case, I -- I would say that the 7 limit of detection is your bin size. 8 Q The limit of detection is your bin size. 9 What about one eighth, the wavelength? 10 A Again, that would be a more theoretical and not 11 practical calculation. 12 Q Have you calculated it here, the Widess criterion of 13 the one-eighth wavelength for seismic detection limit? 14 I need some sense, sir, of what detection limits you're 15 applying to the seismic. 16 A I'm -- I'm really just considering the -- the fact that 17 your stack trace -- your stack traces are 18 12-and-a-half metres apart and if you had a -- the 19 point that I was trying to -- to put across, though, is 20 that if you had a vertical or subvertical fault, that 21 you would -- you would really have only, you know, 22 one -- one CDP or maybe two CDPs of -- of imaging 23 capabilities on those faults. And so it would be 24 really hard to detect a -- a perturbation caused by a 25 fault on the seismic stack section, which -- in my 26 experience, I -- you know, working in -- in the</p>
<p style="text-align: right;">451</p> <p>1 Fort McMurray area where, you know, even with very 2 large faulting and extreme salt dissolution and 3 collapse, with seismic of the similar acquisition 4 parameters and -- and almost similar depths, you know, 5 I -- I was not able to see faults that were offset by 6 7 metres just by going to the stack section. I was 7 using enhanced interpretation tools, you know, such as 8 the semblance and such as, you know, like, this fault 9 attribute that Attribute Studio has by a -- a different 10 software provider. 11 Q Okay. So some of that's theoretical, and some of it, 12 it sounds like you actually applied this -- this 13 seismic data set. Would you agree with me that, 14 generally speaking, you need a detection limit of 2 15 to 3 -- at least something needs to -- you have to have 16 a detection limit above 3 metres to actually see 17 anything on seismic? Do you agree with that? Like, 18 I'm not hearing any hard numbers from you, so I'm 19 trying to find out what detection limits you were 20 applying. 21 A Well, I -- I'm not certain of the -- the question, 22 actually. 23 Q In ISH's evidence, we understood that you were 24 asserting that there was a 7- to 7-and-a-half-metre 25 fault of some sort and -- 26 A Yeah.</p>	<p style="text-align: right;">452</p> <p>1 Q -- the question, really, to you is -- sorry. Let me 2 just finish. The question is: Shouldn't that be 3 showing up on the seismic lines that you were provided, 4 if it was, in fact, there? 5 A No. I -- and this is what I'm -- I'm challenging, is 6 that with -- you know, when you're only sampling that 7 fault with a fold of 15 and with the velocities and the 8 frequencies that -- that CNRL had given and from my 9 personal past experience interpreting faults within the 10 Fort McMurray area, I find it extremely difficult 11 to detect a fault with 7 metres of -- or -- or of 12 displacement. 13 Q Back to the Widess detection limit, shouldn't a 7-metre 14 fault be imaged? 15 A Well, again, I -- I would go back to the fold of your 16 Kirby North 2008 3D data set and -- and the frequency 17 and -- and in my past experience. I -- I -- with a 18 data set that was, like, extremely similar to the 19 parameters with, you know, line intervals in the 100- 20 to 125-metre range and -- and source and receiver 21 intervals in the 25-metre range. I -- I disagree 22 with -- 23 Q Okay. I'll just -- 24 A -- with the -- well, the statement that you guys 25 could -- could image faults of 7 metres' displacement. 26 Q Just one moment.</p>

453	<p>1 A Sure.</p> <p>2 Q Sir, just for clarity, you're saying that based on the</p> <p>3 information you received, the seismic semblances, you</p> <p>4 were -- to you, you're inferring that the work perhaps</p> <p>5 wasn't done, but that's -- that's not your -- is it</p> <p>6 possible that Canadian Natural did the work. We know</p> <p>7 this is confidential 3D seismic. They said in their</p> <p>8 submission -- they explained what the 3D seismic was</p> <p>9 all about, and they shared with you their conclusions?</p> <p>10 A Yes.</p> <p>11 Q So your view is not -- I just want it clear for the</p> <p>12 record. Is it possible that all that work was actually</p> <p>13 done but didn't show up in the semblance slices you</p> <p>14 requested?</p> <p>15 MS. BERG: Sorry.</p> <p>16 Q MS. JAMIESON: Is that a possibility?</p> <p>17 MS. BERG: Sorry. I'm going to</p> <p>18 interject. That's a hypothetical, and -- and all</p> <p>19 Mr. Vermeulen can speak to is the evidence that's on</p> <p>20 this proceeding and what CNRL did or did not do,</p> <p>21 really. I -- I -- I don't see how having Mr. Vermeulen</p> <p>22 respond to that question gets us anywhere on such a</p> <p>23 hypothetical. If CNRL wanted to put that evidence on</p> <p>24 the proceeding, it could have.</p> <p>25 MS. JAMIESON: Thank you.</p> <p>26 Madam Chair, if I could try the question another</p>	454	<p>1 way.</p> <p>2 Q MS. JAMIESON: Mr. Vermeulen, is it possible</p> <p>3 that the work was done but that you have not observed</p> <p>4 it?</p> <p>5 MS. BERG: And I'm going to raise the</p> <p>6 same --</p> <p>7 A MR. VERMEULEN: Okay.</p> <p>8 MS. BERG: -- issue. All that</p> <p>9 Mr. Vermeulen can speak to -- and -- and -- is the</p> <p>10 evidence that he saw in this proceeding. Maybe we need</p> <p>11 a ruling on this issue.</p> <p>12 MS. JAMIESON: No, that's fine. I'll move</p> <p>13 on. Thank you.</p> <p>14 Q MS. JAMIESON: Mr. Vermeulen, do you agree</p> <p>15 that significant erosion at the Paleozoic unconformity</p> <p>16 has taken place at the KN06 box?</p> <p>17 A MR. VERMEULEN: Do I agree with that?</p> <p>18 Q Yes. Based on the evidence that you have reviewed.</p> <p>19 A Based on the evidence that I've reviewed -- and -- and</p> <p>20 really I've -- I've only looked at the seismic data</p> <p>21 in -- in great detail -- I would say that it's</p> <p>22 plausible, yeah.</p> <p>23 Q And do you agree that there's structural variations at</p> <p>24 that unconformity as a result of this erosion?</p> <p>25 A I would say that that's a plausible interpretation too,</p> <p>26 yes.</p>
455	<p>1 Q Do you agree that erosion is a more likely explanation</p> <p>2 for the structures that are observed rather than the</p> <p>3 faulting?</p> <p>4 A Well, I think that in order to comment on that, I would</p> <p>5 go back to what ISH had requested or even suggested in</p> <p>6 their response to CNRL's submission. It was that, you</p> <p>7 know, the semblance slice does show discontinuities on</p> <p>8 it, and, you know, semblance is -- is calculated to</p> <p>9 show subtle structural and stratigraphic features that,</p> <p>10 you know, maybe the interpreter can't readily pick up</p> <p>11 visually.</p> <p>12 And so ISH had suggested that CNRL provide slices</p> <p>13 above and below the mid-B1 mudstone level and -- and</p> <p>14 instead CNRL had decided to switch the domain to a</p> <p>15 depth domain and use a different volume, and -- and it</p> <p>16 just kind of -- to me, it -- it was a simple request,</p> <p>17 and -- and it -- it -- so without that evidence, I</p> <p>18 don't think I could -- I could concretely confirm that</p> <p>19 it isn't structured.</p> <p>20 Q Okay. Thank you.</p> <p>21 So a couple last questions. It sounded like you</p> <p>22 did agree or confirm that you were able to see erosion,</p> <p>23 but you were unable to see faulting. It's just</p> <p>24 confusing that --</p> <p>25 A I didn't give confirmation of faulting; right? So</p> <p>26 the -- the -- the semblance slices, if they were to</p>	456	<p>1 have been provided above and below, those</p> <p>2 discontinuities that we saw within the KN06 drainage</p> <p>3 box and outside would've had a lateral and a vertical</p> <p>4 extent, and if they terminated quickly, then -- then we</p> <p>5 could conclude that -- that the -- the faulting or</p> <p>6 fracturing was -- was unlikely. If -- if we did see</p> <p>7 these discontinuities continue with some extent,</p> <p>8 then -- then I would lean to a more structural</p> <p>9 interpretation.</p> <p>10 Q I -- I may have a -- what about on the seismic line?</p> <p>11 If I asked you that question again, were you able to</p> <p>12 see erosion but you did not see any faulting on the</p> <p>13 seismic line, for one?</p> <p>14 A Well, here, again, is -- is -- you know, I would say</p> <p>15 that the -- the person with the most information has --</p> <p>16 has the ability to make the correct interpretation, and</p> <p>17 having just two single cross-sections going north-south</p> <p>18 and east-west probably isn't enough to -- to make a</p> <p>19 correct interpretation.</p> <p>20 Q Okay. Thank you, Mr. Vermeulen. One last question.</p> <p>21 Do you agree that this VVAz and then VAVz [sic]</p> <p>22 seismic interpretation techniques are really</p> <p>23 controversial at best in the geophysical industry right</p> <p>24 now?</p> <p>25 A You know what? I -- I didn't actually read the paper</p> <p>26 that was -- that was mentioned today, but, of course,</p>

457

1 you know, I'd say most new-ish seismic interpretation
 2 techniques are -- are, you know, start off as
 3 controversial and -- and because they haven't been
 4 tested thoroughly enough, and -- and that's just the
 5 nature of, you know, professionals. Some like to use
 6 tools that they are familiar with and -- and some like
 7 to play with their data set with new tools.
 8 Q Okay. Okay. Sir, thank you very much, and I
 9 appreciate your patience with my questions.
 10 MS. JAMIESON: Madam Chair, I think that's
 11 all we have for the ISH panel.
 12 THE CHAIR: Thank you, Ms. Jamieson.
 13 Ms. Hall or Mr. Poitras, do AER staff have any
 14 questions for the ISH rebuttal panel?
 15 MS. HALL: Thank you, Madam Chair.
 16 Yes. I have just a few questions. The first
 17 would be for Mr. Mathison.
 18 Alberta Energy Regulator Staff Questions ISH Energy
 19 Ltd. (Rebuttal)
 20 Q MS. HALL: Mr. Mathison, with the
 21 exception of the B1 and A2 mudstone intervals, both ISH
 22 and Canadian Natural interpret heterolithic and
 23 mudstone units comprising the B2 valley fill or post
 24 B2 valley fill and heterolithic and mudstone units
 25 within the B1 sequence to be deposited in relatively
 26 shallow point bar and tidal flat settings respectively.

459

1 But some of the other stuff, the -- that -- what I
 2 would interpret to be shattering -- almost a shattering
 3 of -- of some of these intervals, I don't think so.
 4 And the other thing that -- that's of interest is
 5 if you look at -- there's a whole number of things that
 6 would indicate that we've had fluid flow going through
 7 those what I have interpreted to be faults or
 8 whatever -- fracture systems, and that -- that this has
 9 led to cementation in the basement in -- in the
 10 McMurray formation just overlying the -- the Paleozoic
 11 but has also led to cementation up as high as -- I
 12 have -- I have witnessed it in actually the 15-02 well.
 13 It's incredibly compelling evidence that there's
 14 fracturing all the way up to the Wabiskaw and that
 15 we've had fluid flow that has -- has resulted in -- in
 16 cementation up there in -- in highly disruptive strata.
 17 So I -- you know, to go back to that, I -- I --
 18 yes, I would admit, and the problem -- part of the
 19 problem is we're -- we're dealing with -- with
 20 pictures. Had we had the core, some of these things
 21 could easily be resolved. But I -- I think that the
 22 vast majority of them do represent fractures.
 23 Q Okay. Thank you.
 24 A Thanks.
 25 Q And just a quick follow-up question. Is it possible --
 26 would you say that it's possible that any of the

458

1 Can -- my question for you is: Can mudstone
 2 facies in these depositional settings become fractured
 3 and/or brecciated by processes other than faulting such
 4 as pedogenic alteration?
 5 A MR. MATHISON: Yes. Yes, they can. And I --
 6 I don't deny that. What my issue is, that the
 7 pervasiveness of these fracturing and not just in the
 8 units that are close to this -- you know, close to
 9 subaerial are -- are also fractured and often in the
 10 same wells. So I think based on that, the -- the --
 11 the weight of the evidence is that -- that these things
 12 have probably -- probably represent fractures.
 13 And, you know, I -- I'm certainly willing to admit
 14 in a few cases they -- you know, they may be related to
 15 that, and I have considered that.
 16 Now, the one thing I do -- I disagree. I don't
 17 agree with CNRL in their interpretation of the -- the
 18 upper B1, what they consider upper B1. I suspect it's
 19 more likely a bay fill -- bay-fill succession that --
 20 in that it overlies -- it overlies a flooding surface
 21 which has created -- and there is the creation of
 22 accommodation space which gets taken up.
 23 So it's a very brackish -- brackish deltaic units,
 24 bay-filled deltas. So -- and -- and you can get
 25 things -- you can get slump and rotation of stuff, and
 26 I agree that -- with that.

460

1 cementation could result from migration along permeable
 2 pathways?
 3 A Well, yes, certainly, it -- it would be. I think that
 4 the question that I -- I tried to raise was that
 5 without the geochemistry, the oxygen isotope or the
 6 carbon isotope, we can't say for certain, you know,
 7 where this -- where these fluids are coming from. I
 8 mean, it -- it -- to me, it would -- would appear to be
 9 not obvious but -- but a reasonable interpretation that
 10 they are coming out of -- out of the Paleozoic given
 11 that it's a carbonate unit and -- and the McMurray
 12 formation.
 13 The only other thing that I can think of in the
 14 McMurray formation is -- I don't know. You know -- you
 15 know, so there doesn't seem to be a source -- a local
 16 source for -- for -- for carbonate within the actual
 17 strata of the McMurray formation.
 18 Now, I want to -- I have actually worked with this
 19 data, and I've -- I've actually been a co-author on the
 20 Wabiskaw B, and it was very useful. We were able to
 21 determine that the -- what some people consider to be
 22 concretions, and -- and we could, in some instances,
 23 demonstrate that these were actually layers -- were
 24 marine-sourced. The carbonate was marine-sourced, and
 25 the temperature would indicate that it was subaerial
 26 exposed.

461	462
<p>1 So -- so you have to think of the source. Where 2 is your source of the elements? And then what are the 3 pathways that these -- these elements can move into 4 that formation? And I think the most recently -- 5 reasonable interpretation is they probably come from 6 the Paleozoic going up into the overlying strata, 7 probably coming in along the fracture systems as we see 8 in the 02-01 well.</p> <p>9 And -- and -- and -- and so I -- you know, I -- I 10 do believe that is it, but I can't prove that because 11 we do -- do not have the core evidence and the 12 geochemistry to -- to demonstrate that with -- with 13 certainty.</p> <p>14 I think -- I believe -- have we frozen? 15 THE CHAIR: Ms. Hall, are you -- 16 MS. HALL: I'm having some definite 17 connection issues. 18 THE CHAIR: Okay. 19 MS. HALL: I -- I -- 20 MR. MATHISON: Did -- did you hear that? 21 MS. HALL: I -- some of, I think. I 22 think the people who needed to hear have -- our staff 23 has heard. 24 MR. MATHISON: Yeah. Okay. Thank you. 25 MS. HALL: Thank you for that. 26 MR. MATHISON: Yeah. Thank you.</p>	<p>1 MS. HALL: Okay. So those are my 2 questions for you, Mr. Mathison. Thank you very much. 3 MR. MATHISON: Yes. Thank you. 4 MS. HALL: And then I do have some 5 questions for Mr. Vermeulen, please. 6 Q MS. HALL: Mr. Vermeulen, you mentioned 7 some differences -- or you had spoken about some 8 differences between the two semblance maps provided by 9 Canadian Natural, and I believe those are at 10 Exhibit 30.02 at PDF page 120. 11 MS. HALL: And, Ms. Turner, no need to 12 bring these up. I think we were just -- just looking 13 at them recently so -- but this is just for the record. 14 Q MS. HALL: And also at Exhibit 49.02, PDF 15 page 24. 16 And we note that the colour scales used to 17 demonstrate semblance in these two maps are not 18 consistent between the post-stack time migration 19 semblance and the pre-stack time migration semblance 20 maps. 21 So if -- my question is: If both maps were 22 presented using a consistent colour scale, say, the 23 colour scale used for the post-stack migrated version, 24 how would the two maps compare? 25 A MR. VERMEULEN: Well, I -- I did notice the 26 same discrepancy in the colour scales, as you had --</p>
463	464
<p>1 had noticed as well, and I believe that the depth 2 converted semblance slice is actually a shift to the -- 3 to the whiter side, and so that it maybe that the 4 features would have been diminished just because you 5 would expect those dissimilarity features to come out 6 the same. But because the pre-stack migrated volume 7 has such a strong or dominant footprint, that kind of 8 overrides it.</p> <p>9 But the other thing that is of a concern and I 10 need to point out is that one's in depth and one's in 11 time. And so the -- I guess the processes is what you 12 stretch your -- your -- your seismic traces from the 13 time domain to the depth domain. It can also cause 14 distortions in your volume. In this case, it would be 15 a semblance volume.</p> <p>16 So I'm -- I -- I almost have to say that I -- I 17 can't answer your question, is what it would look like, 18 because they're apples compared to oranges, 19 essentially, is -- is what it is.</p> <p>20 Q Thank you, sir. And just one moment, please. 21 MS. HALL: Those are my questions. Thank 22 you, Madam Chair. 23 And thank you, Mr. Vermeulen. 24 THE CHAIR: Thank you, Ms. Hall. 25 Commissioner McKinnon or Commissioner Zaitlin, any 26 questions for you?</p>	<p>1 MS. MCKINNON: None from me. 2 DR. ZAITLIN: None from me. Thank you. 3 THE CHAIR: And none here either. 4 So I think that means that I can thank the ISH 5 rebuttal evidence panel for their time this afternoon 6 and let you know that you are now dismissed. 7 And that brings us to the end of the day today. 8 Tomorrow we are scheduled for closing argument starting 9 at 9. I think we are expecting one written filing 10 later today to complement information that we had 11 orally on the record this afternoon. And, otherwise, 12 as far as I'm aware, that's it. 13 Ms. Berg or Ms. Jamieson, is there anything that 14 I'm missing or anything we need to deal with before 15 tomorrow? 16 MS. JAMIESON: No further comments from us, 17 and we will -- I assume we can just file that updated 18 table as part of our undertaking response through 19 Ms. Turner. Would that be -- 20 THE CHAIR: Yes. 21 MS. JAMIESON: -- appropriate? 22 THE CHAIR: -- please. Yeah. 23 MS. JAMIESON: Okay. 24 THE CHAIR: That would be appropriate, 25 yeah. 26 MS. JAMIESON: We'll do that.</p>

1 MS. BERG: And -- and nothing from us
 2 either. Thank you.
 3 THE CHAIR: Okay. Thank you.
 4 Thank you. Well, then, we are adjourned until 9
 5 tomorrow morning. Thank you.

6 _____
 7 PROCEEDINGS ADJOURNED UNTIL 9:00 AM, OCTOBER 16, 2020

8 _____
 9
 10
 11
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25
 26

1 CERTIFICATE OF TRANSCRIPT:
 2
 3 We, Andres Vidal and Sarah Howden, certify that
 4 the foregoing pages are a complete and accurate
 5 transcript of the proceedings taken down by us in
 6 shorthand and transcribed from our shorthand notes to
 7 the best of our skill and ability.

8 Dated at the City of Calgary, Province of Alberta,
 9 this 15th day of October 2020.

10
 11 
 12 _____
 13

14 Andres Vidal, CSR(A)
 15 Official Court Reporter

16
 17 
 18 _____
 19

20 Sarah Howden, CSR(A)
 21 Official Court Reporter

22
 23
 24
 25
 26