

<p style="text-align: center;">THE ALBERTA ENERGY REGULATOR</p> <p style="text-align: center;">IN THE MATTER OF Regulatory Appeal 1927181 to the Alberta Energy Regulator</p> <hr/> <p style="text-align: center;">AER PROCEEDING VOLUME 4 VIA REMOTE VIDEO</p> <hr/> <p style="text-align: center;">October 16, 2020</p>	<p>467</p> <table style="width: 100%; border-collapse: collapse;"> <thead> <tr> <th style="width: 10%;">1</th><th colspan="2" style="text-align: left;">TABLE OF CONTENTS</th></tr> <tr> <th style="width: 10%;">2</th><th style="width: 60%;">3 Description</th><th style="width: 30%; text-align: right;">Page</th></tr> </thead> <tbody> <tr><td style="width: 10%;">4</td><td></td><td></td></tr> <tr><td style="width: 10%;">5</td><td>5 October 16, 2020 Morning Session</td><td style="text-align: right;">470</td></tr> <tr><td style="width: 10%;">6</td><td>6 Closing Remarks by ISH Energy Ltd.</td><td style="text-align: right;">470</td></tr> <tr><td style="width: 10%;">7</td><td>7 Closing Remarks by Canadian Natural Resources Limited</td><td style="text-align: right;">510</td></tr> <tr><td style="width: 10%;">8</td><td>8 Alberta Energy Regulator Questions</td><td style="text-align: right;">498</td></tr> <tr><td style="width: 10%;">9</td><td>9 ISH Energy Ltd.</td><td style="text-align: right;">556</td></tr> <tr><td style="width: 10%;">10</td><td>10 Closing Remarks by ISH Energy Ltd.</td><td></td></tr> <tr><td style="width: 10%;">11</td><td>11 Certificate of Transcript</td><td style="text-align: right;">564</td></tr> <tr><td style="width: 10%;">12</td><td></td><td></td></tr> <tr><td style="width: 10%;">13</td><td></td><td></td></tr> <tr><td style="width: 10%;">14</td><td></td><td></td></tr> <tr><td style="width: 10%;">15</td><td></td><td></td></tr> <tr><td style="width: 10%;">16</td><td></td><td></td></tr> <tr><td style="width: 10%;">17</td><td></td><td></td></tr> <tr><td style="width: 10%;">18</td><td></td><td></td></tr> <tr><td style="width: 10%;">19</td><td></td><td></td></tr> <tr><td style="width: 10%;">20</td><td></td><td></td></tr> <tr><td style="width: 10%;">21</td><td></td><td></td></tr> <tr><td style="width: 10%;">22</td><td></td><td></td></tr> <tr><td style="width: 10%;">23</td><td></td><td></td></tr> <tr><td style="width: 10%;">24</td><td></td><td></td></tr> <tr><td style="width: 10%;">25</td><td></td><td></td></tr> <tr><td style="width: 10%;">26</td><td></td><td></td></tr> </tbody> </table>	1	TABLE OF CONTENTS		2	3 Description	Page	4			5	5 October 16, 2020 Morning Session	470	6	6 Closing Remarks by ISH Energy Ltd.	470	7	7 Closing Remarks by Canadian Natural Resources Limited	510	8	8 Alberta Energy Regulator Questions	498	9	9 ISH Energy Ltd.	556	10	10 Closing Remarks by ISH Energy Ltd.		11	11 Certificate of Transcript	564	12			13			14			15			16			17			18			19			20			21			22			23			24			25			26			<p>468</p>
1	TABLE OF CONTENTS																																																																												
2	3 Description	Page																																																																											
4																																																																													
5	5 October 16, 2020 Morning Session	470																																																																											
6	6 Closing Remarks by ISH Energy Ltd.	470																																																																											
7	7 Closing Remarks by Canadian Natural Resources Limited	510																																																																											
8	8 Alberta Energy Regulator Questions	498																																																																											
9	9 ISH Energy Ltd.	556																																																																											
10	10 Closing Remarks by ISH Energy Ltd.																																																																												
11	11 Certificate of Transcript	564																																																																											
12																																																																													
13																																																																													
14																																																																													
15																																																																													
16																																																																													
17																																																																													
18																																																																													
19																																																																													
20																																																																													
21																																																																													
22																																																																													
23																																																																													
24																																																																													
25																																																																													
26																																																																													
<p>469</p> <hr/> <p>1 Proceedings taken Via Remote Video</p> <p>2 _____</p> <p>3 October 16, 2020 Morning Session</p> <p>4</p> <p>5 C. Low The Chair</p> <p>6 C. McKinnon Hearing Commissioner</p> <p>7 B. Zaitlin Hearing Commissioner</p> <p>8</p> <p>9 S. Poitras AER Counsel</p> <p>10 A. Hall AER Counsel</p> <p>11 D. Campbell AER Staff</p> <p>12 E. McKellar AER Staff</p> <p>13 S. Botterill AER Staff</p> <p>14 L. Chen AER Staff</p> <p>15 E. Galloway AER Staff</p> <p>16 S. Harbridge AER Staff</p> <p>17 T. Rempfer AER Staff</p> <p>18 T. Turner AER Staff</p> <p>19 A. Shukalkina AER Staff</p> <p>20 T. Wheaton AER Staff</p> <p>21</p> <p>22 L. Berg For ISH Energy Ltd.</p> <p>23 S. Hryciw</p> <p>24</p> <p>25 J. Jamieson For Canadian Natural Resources Limited</p>	<p>470</p> <hr/> <p>1 A. Vidal, CSR(A) Official Court Reporter</p> <p>2 S. Howden, CSR(A) Official Court Reporter</p> <p>3 _____</p> <p>4 (PROCEEDINGS COMMENCED AT 8:59 AM)</p> <p>5 THE CHAIR: Good morning. With only</p> <p>6 the -- with only active participants on screen, it</p> <p>7 seems it's a startlingly small number of frames to look</p> <p>8 at this morning. I sort of want to wait for my screen</p> <p>9 to fill up.</p> <p>10 So good morning, and welcome to the last day of</p> <p>11 our electronic hearing. In terms of housekeeping or</p> <p>12 preliminary matters, I just wanted to say that we have</p> <p>13 received the paper version of the revised Tab 15B for</p> <p>14 Exhibit 48.02.</p> <p>15 Ms. Berg, I assumed that you would've received</p> <p>16 that as well?</p> <p>17 MS. BERG: Yes. Yes.</p> <p>18 THE CHAIR: And you're fine? Yeah. Okay.</p> <p>19 Excellent.</p> <p>20 That's all for me. Unless either one of you has a</p> <p>21 housekeeping or preliminary matter, we can start in</p> <p>22 with final argument, then.</p> <p>23 Ms. Berg.</p> <p>24 Closing Remarks by ISH Energy Ltd.</p> <p>25 MS. BERG: All right. Thank you, Madam</p> <p>26 Chair.</p>																																																																												

<p>1     Good morning. And -- yes. Good morning, Madam 2 Chair and Members of the Panel.</p> <p>3     The approval under appeal in this proceeding, 4 Approval 11475EE, was the latest approval issued under 5 what I will refer to as "Umbrella Approval 11475."</p> <p>6     While this proceeding raises many issues, one of 7 the central issues that it raises is this: At what 8 point does an umbrella approval require a fundamental 9 re-examination?</p> <p>10    We believe that with Approval 11475EE we've 11 reached that point where a fundamental re-examination 12 is required. The KN06 box is not like the many other 13 boxes that CNRL has produced in the Kirby zone. In and 14 around the KN06 box, there is clear evidence of issues 15 with the overlying barrier or seal. There's evidence 16 of fractures and faulting. And because of that, there 17 is a need for stronger mitigations, including an 18 observation well.</p> <p>19    In this argument, I will briefly go through some 20 of the evidence that is before you in this proceeding.</p> <p>21    There is a very clear divergence in the views of 22 many of the witnesses, including independent experts 23 before you, in particular, on issues of geology and 24 seismic.</p> <p>25    You are a specialized tribunal with the expertise 26 to assess that conflicting evidence and determine whose</p>	<p>1     opinions are more technically sound. It is my 2 submission that the evidence on geology and seismic 3 from the independent experts acting on behalf of ISH is 4 the strongest and most reliable evidence before you.</p> <p>5     What I will also highlight, as I go through this 6 evidence, is what CNRL chose not to put before you. In 7 particular, that relates to the ISH of seismic data.</p> <p>8     CNRL was asked to provide seismic data in IRs that 9 were issued by ISH and failed to provide data that 10 would allow for the identification of anything but very 11 large-scale faults. It provided a single semblance 12 slice where it could've easily provided multiple 13 semblance slices to provide a clearer picture across 14 zones.</p> <p>15    Because it did not provide that requested data, 16 there are only two conclusions that can be drawn: 17 Either CNRL did not do the level of seismic work 18 necessary to identify smaller scale faults in the KN06 19 area, or it did do that work and deliberately chose not 20 to disclose that data.</p> <p>21    In this argument, I will address the issues set 22 out by the Panel. I will also address some of the 23 mitigations that ISH believes would address the risks 24 that it has identified with the CNRL approval under 25 appeal. I will also briefly cover issues regarding the 26 10-01 well.</p>
<p>1     And, finally, I will address issues relating to 2 the Panel's questions in IRs regarding the value of 3 resources and whether that ought to determine in any 4 way the type of mitigations that the Regulator might 5 consider in this proceeding.</p> <p>6     So starting with Issue Number 1, as set by the 7 AER, which is the presence or absence of an effective 8 barrier or top seal overlying the bitumen-bearing 9 McMurray formation and, if present, its relevant 10 characteristics, in the area of the CNRL KN06 box.</p> <p>11    Now, both CNRL and ISH recognize that the 12 regionally extensive silty mudstones of the B1 and A2 13 intervals can be effective barriers to steam, provided 14 they are continuous and of sufficient thickness. But 15 there is significant disagreement regarding what is 16 occurring in the KN06 box and, in particular, with the 17 B1 mudstone.</p> <p>18    So beginning with the A2 mudstone, the evidence in 19 this proceeding demonstrates that the A2 is thin in the 20 KN06 box, varying from about .8 metres thick to a zero 21 edge along the northwest margin of the pool. It, 22 therefore, cannot be considered an effective seal 23 throughout the KN06 box. Both ISH and CNRL are in 24 agreement on this point. The truncation of the A2 25 mudstone along the northwest western margin of the KN06 26 SAGD area, as illustrated in ISH's A2 mudstone isopach,</p>	<p>1     was set out in Exhibit 63.01 at PDF page 14.</p> <p>2     Mr. Mathison discussed the thin A2 mudstone in the 3 core at the 1AA/11-01 well in his evidence. He also 4 explained how the differences between the ISH and CNRL 5 isopach maps for the A2 mudstone can be explained by 6 decisions made regarding contouring. What the evidence 7 makes clear is that the A2 mudstone cannot be 8 considered a barrier for the KN06 box.</p> <p>9     So moving to the middle B1 mudstone. There are 10 very significant differences in how Mr. Mathison and 11 CNRL view the B1 mudstone. ISH's interpretation can be 12 found in -- well, Mr. Mathison's interpretation can be 13 found in the isopach map of Exhibit 63.01 at PDF 12. 14 And Mr. Mathison is of the view that over the KN06 15 thermal project area, the middle B1 mudstone has been 16 eroded in portions of LSD6, 7, and 10. Mr. Mathison is 17 also of the view that the maximum thickness of the 18 mudstone in the KN06 box is .7 metres.</p> <p>19    Since the middle B1 mudstone is absent or 20 extremely thin throughout the KN06 SAGD project area, 21 it too cannot be considered an effective seal. To 22 illustrate this, Mr. Mathison discussed core from the 23 AA/07-01 well, which is about 15 centimetres thick and 24 appeared to be fractured. He also discussed core from 25 the AB/09-01 well which, again, was about 15 centimetres 26 thick.</p>

<p>1 Other core, including that from the 1AA/11-01 2 well, were described as thin interbedded mudstone silt 3 stone sandstones that would be highly unlikely to act 4 as a barrier. The evidence from the core in this 5 proceeding demonstrates that the middle B1 mudstone 6 also does not provide a barrier over the KN06 box.</p> <p>7 Now, just briefly with regard to the McMurray B1, 8 ISH's evidence has outlined that the McMurray B1 is a 9 highly variable unit ranging from dominantly sandstone 10 to dominantly mudstone. B1 strata, that is 11 sand-dominated forms. A northwesterly trend through 12 the southwest corner of the KN06 wells, and I won't 13 read out those wells 'cause they're in our -- our 14 evidence, but the B1 strata performs a fining up trend, 15 as well in -- in the KN06 box.</p> <p>16 With regard to the McMurray B2 regional, that unit 17 varies from 4 to 1 metre throughout the KN06 area. In 18 core, the zone consists of thinly 2, as in centimetres, 19 to thickly, as in decimetres, interbedded sandstones 20 and thin mudstones. ISH interprets the McMurray B2 as 21 tidal flat assemblage that grades from dominantly 22 bitumen saturated sandstone to dominantly mudstone.</p> <p>23 ISH does not consider the McMurray B1 and the 24 McMurray B2 regional to be barriers because they are 25 dominantly sandy over the KN06 area and, therefore, 26 would be spill points for steam.</p>	<p>1 Now, Mr. Mathison also provided evidence on the 2 presence of inclined heterolithic stratification 3 sedimentary fill, or IHS, at the top of the post B2 4 reservoir.</p> <p>5 This interbedded assemblage of sands and mudstones 6 can vary from predominantly sand to mudstones. IHS, as 7 the term implies, is inclined typically at an angle of 8 approximately 8 degrees. What Mr. Mathison calls the 9 "upper portion of the B2 valley fill reservoir" is 10 comprised of IHS. The muddy, silty IHS passed 11 laterally to sand IHS both along the strike of the 12 reservoir and down dip. Where this occurs, the 13 reservoir is almost entirely made up of sandy strata up 14 to the base of the regional B2 layer.</p> <p>15 Again, there are significant differences in 16 interpretations between Mr. Mathison's view and the 17 view of CNRL. In his evidence, Mr. Mathison outlined a 18 number of core photos, including photos from the 19 1AB/05-01 well, where he noted that CNRL calls the post 20 B2 non-reservoir -- that what CNRL calls the "post B2 21 non-reservoir" Mr. Mathison would interpret as IHS.</p> <p>22 ISH argues that CNRL has been inconsistent in 23 their pick of their top of post B2 reservoir, post B2 24 non-reservoir boundary. This has resulted in inclusion 25 of sandy IHS above the top of the post B2 reservoir.</p> <p>26 In the CNRL cross-examination, CNRL admitted that</p>
<p>1 it includes sandy IHS as part of its reservoir. The 2 difficulty of picking a precise top of reservoir, 3 particularly where sandy IHS occurs, was also 4 illustrated in CNRL's original application at 5 Exhibit 2.01, PDF 29, where the sandy IHS, according to 6 their modelling inputs, clearly goes up to just below 7 the lower B1 boundary. This is also evidence in core 8 interpreted by CNRL in this proceeding.</p> <p>9 CNRL also admitted in cross that they use a shale 10 percentage to pick the top of the reservoir, and this 11 is despite a statement in Fustic, et al., 2011, where 12 they state, and I quote: (as read)</p> <p>13 The use of specific cutoff values for the 14 thickness of silt stone beds, IHS packages, 15 or shale volume to define barriers to fluid 16 flow should be used with caution.</p> <p>17 Using a shale volume cutoff to demarcate the top of 18 reservoir ignores thick, sandy IHS that lies above the 19 shaley intervals that meets the cutoffs. Using a shale 20 volume cutoff assumes that the steam chamber will grow 21 only vertically, yet IHS are by their very nature 22 inclined.</p> <p>23 It follows that the limited view given by core 24 does allow full evaluation of the extent of the beds. 25 Using shale volume cutoff to demarcate the top of the 26 reservoir ignores thick, sandy IHS that lie above the</p>	<p>1 shaley intervals that meets the cutoff. 2 Using a shale volume cutoff -- I'm sorry. I was 3 cutting and pasting this morning, and I think that I 4 have duplicated what I am saying, so if you could just 5 give me a moment. The hazards of being up too late. 6 IHS, at their very nature, are inclined, whereas 7 sandy IHS overlying muddy IHS -- the sandy IHS can be 8 accessed by steam where they intersect thick reservoir 9 sand along their own dip edge. It follows that the 10 limited view given by core and well logs does not allow 11 a full evaluation of the lateral extent of both sandy 12 and muddy IHS where these terminations will create 13 spill points. Mr. Mathison concluded that the IHS 14 presence would not form a barrier in and around the 15 KN06 box.</p> <p>16 Now, with regard to GC-MS, CNRL interpreted the 17 GC-MS in a manner consistent with Adams 2008 and did 18 not take into account revisions made by Fustic, et al., 19 in 2011. In rebuttal, Mr. Mathison submitted that the 20 most likely interpretation of the bitumen compositional 21 gradient is that within the B2 valley fill the IHS do 22 not form barriers in the 1AA/11-01 well but rather they 23 are most likely baffles.</p> <p>24 In summary, the core data on the record of this 25 proceeding from in and around the KN06 box indicates 26 that a barrier or seal is thin or absent in significant</p>

<p>1 portions of the KN06 box.</p> <p>2 So moving to the next issue set by the Panel,</p> <p>3 which is the risk of fractures or other breach of the</p> <p>4 barrier top seal, if it is present, resulting from CNRL</p> <p>5 operations in the KN06 box.</p> <p>6 So in response to this issue, ISH presented a</p> <p>7 substantial amount of evidence regarding fractures and</p> <p>8 faulting in and around the KN06 box. This evidence</p> <p>9 consisted of an analysis of core, well log data, oil</p> <p>10 water contact, and seismic.</p> <p>11 So beginning with the core. Mr. Mathison found</p> <p>12 that the evidence clearly indicated that fractures were</p> <p>13 prevalent throughout the vicinity of the KN06 box. He</p> <p>14 also saw evidence of faults in the core photographs.</p> <p>15 I'm not going to walk you through the many core</p> <p>16 photographs that Mr. Mathison presented in his evidence</p> <p>17 in this proceeding, including in his opening statement,</p> <p>18 but before I leave the issue of core data, I have to</p> <p>19 address the very significant differences between the</p> <p>20 way Mr. Mathison and Mr. Lavigne view the core</p> <p>21 evidence.</p> <p>22 Now, obviously, I am not an expert in geology, but</p> <p>23 I know that there is significant expertise in geology</p> <p>24 both on the Panel and in the staff at the AER. You</p> <p>25 will need to look at these core photos and look at what</p> <p>26 Mr. Mathison and Mr. Lavigne had to say about these</p>	<p>479</p> <p>1 photos, and you will need to make an assessment</p> <p>2 regarding whose interpretation you believe.</p> <p>3 There is considerable evidence on the record</p> <p>4 regarding the differing views of Mr. Mathison and</p> <p>5 Mr. Lavigne on these core photos. You will see this in</p> <p>6 the parties' submissions, in their opening statements,</p> <p>7 and as well in the extraordinarily painful</p> <p>8 cross-examination that I did of Mr. Lavigne. Please</p> <p>9 examine those core photos. Examine the testimony of</p> <p>10 Mr. Mathison and Mr. Lavigne regarding all of those</p> <p>11 core photos.</p> <p>12 Look at the evidence, for example, on well</p> <p>13 AA/02-01. It has not only a vertical fracture that has</p> <p>14 undergone some displacement in the Beaver Hills lakes</p> <p>15 formation but also an intensely fractured interval in</p> <p>16 the lower McMurray.</p> <p>17 Look at the well illustrated in the CNRL opening</p> <p>18 statement that includes a zone that Mr. Lavigne has</p> <p>19 interpreted as drilling mud, although it is almost</p> <p>20 certainly a sand with mudstone clasts.</p> <p>21 Please look at all of that evidence and make an</p> <p>22 assessment of whose opinion you're going to accept.</p> <p>23 Now, core was not the only evidence of significant</p> <p>24 structuring in the area of the KN06 box. The strongest</p> <p>25 piece of evidence to prove that there has been</p> <p>26 significant structuring in the KN06 area, including the</p>
<p>481</p> <p>1 KN06 steam project area, is the dislocation of</p> <p>2 stratigraphic marker Cross Sections W to W prime and V</p> <p>3 to V prime at Exhibit 29.03 that is coincident with a</p> <p>4 flexure on seismic lines, and you will find that</p> <p>5 flexure at Exhibit 30.02, pages 123 and 124.</p> <p>6 These are expressed as northeast and southwest</p> <p>7 contours on CNRL's Paleozoic time structure map, and</p> <p>8 that can be found at Exhibit 30.02, PDF page 116.</p> <p>9 Although these flexures are interpreted by CNRL as</p> <p>10 due to differential compaction, this explanation is not</p> <p>11 plausible because it does not account for the</p> <p>12 structuring for the Paleozoic on Section V to V prime</p> <p>13 and the thicker sands in Section W to W prime.</p> <p>14 The drop in structure of the Paleozoic is a</p> <p>15 6.6-metre drop -- excuse me -- and coincides with the</p> <p>16 oil water contact between wells AA/06-01 and AC-07-01</p> <p>17 found at Exhibit 29.03. This is also evidence in the</p> <p>18 oil water contact stratigraphic cross sections K to K</p> <p>19 prime between Wells AA/06-01 and AA/07-01. You can</p> <p>20 also see this between wells on stratigraphic Cross</p> <p>21 Section FF prime at 29.02 -- Exhibit 29.02.</p> <p>22 Similar displacement of the oil water contact also</p> <p>23 occurs on Structural Cross Section D to D prime, and</p> <p>24 that is, I believe, at Exhibit 29.01, Appendix L,</p> <p>25 although that's an unrelated structure.</p> <p>26 We submit that this is the most plausible</p>	<p>482</p> <p>1 explanation for the structure trending northeast and</p> <p>2 southwest through the east half of the KN06 and</p> <p>3 identified as AA prime in Figure 18 in Exhibit 29.01,</p> <p>4 page 32, the timing of which would be post oil</p> <p>5 migration and degradation.</p> <p>6 Given the magnitude of the structure, there</p> <p>7 would've been a halo of fractures surrounding the fault</p> <p>8 and in all likelihood subsidiary faults of smaller</p> <p>9 magnitude with each of these surrounded by a halo of</p> <p>10 fractured rock. Due to the vertical nature of these</p> <p>11 faults, they would be exceedingly difficult to detect</p> <p>12 on seismic and sporadically encountered in coring.</p> <p>13 So moving to the seismic. ISH's stance on CNRL's</p> <p>14 seismic evidence is that CNRL did not go far enough to</p> <p>15 definitively include that faulting is absent in the</p> <p>16 confining strata. ISH believes the detailed analysis</p> <p>17 of how seismic amplitude phase and frequency change</p> <p>18 spatially in a seismic volume is the only way seismic</p> <p>19 can support these small-scale faulting and fracture</p> <p>20 interpretation.</p> <p>21 CNRL claimed it performed a detailed seismic</p> <p>22 review of its high-quality 2008 Kirby 3D data set</p> <p>23 within the vicinity of KN06. From this review, CNRL</p> <p>24 concluded there was no evidence for salt disillusion or</p> <p>25 faulting. ISH concluded that CNRL's structural seismic</p> <p>26 interpretation, which includes time and depth structure</p>

<p>1 maps, isochrons, and isopachs, and a visual inspection 2 of seismic cross sections, demonstrates that CNRL's 3 seismic review only investigated the presence of very 4 large-scale faulting or collapse due to salt 5 disillusion.</p> <p>6 Core and log evidence within Kirby North show that 7 the scale of faulting and fracturing are expressed at a 8 much smaller scale. The observed small-scale faults 9 and fractures would require CNRL to support its 10 hypothesis with advanced seismic analysis.</p> <p>11 Now, advanced seismic analysis includes horizon 12 amplitudes, horizon attributes, zone attributes, 13 coherency slices, frequency decomposition, and 14 pre-stack gather analysis. CNRL did not provide any 15 advanced seismic interpretation analysis in their 16 evidence apart from a single coherency slice.</p> <p>17 The one piece of CNRL's seismic evidence that was 18 able to detect subtle spatial changes in seismic wave 19 forms was their time domain semblance slice at the 20 approximate mid-B1 mudstone level. The semblance slice 21 had several dissimilarity anomalies present in and 22 around the KN06 drainage box.</p> <p>23 A further examination of how and if these 24 anomalies propagated above and below the B1 mudstone 25 level is the first step to determine if small-scale 26 faults and fractures are present.</p>	<p>1 Instead CNRL chose to provide a second and very 2 different semblance slice approximated at the same 3 mid-B1 mudstone level. ISH demonstrated that this 4 semblance slice was not a direct comparison to the 5 first slice. It was derived from a different seismic 6 volume which contained a significant acquisition 7 footprint that was not removed in processing, and the 8 seismic traces had been stretched to depth. CNRL's 9 attempt to compare these two semblance slices only 10 provided confusion and did not further strengthen their 11 argument that there is no faulting or fractures within 12 the confining strata in KN06.</p> <p>13 CNRL stated that they would easily recognize a 14 7-metre displacement on seismic markers at the 15 Wabiskaw B, Paleozoic, or within the reservoir itself. 16 ISH demonstrated in its rebuttal to CNRL that the 17 offset calculated from a fault of this size would be 18 less than 3 milliseconds on the 2008 3D. 3 milliseconds 19 of offset between adjacent traces can be seen on 20 reflections events within the Wabiskaw, McMurray, and 21 Paleozoic.</p> <p>22 ISH is not suggesting that these are all faults 23 but only emphasizing that the geophysicists would need 24 to carefully investigate the spatial changes in seismic 25 amplitude, phase, and frequency to confirm or refute an 26 interpretation of small-scale faults and fractures.</p>
<p>485</p> <p>1 In summary, as you consider CNRL's seismic 2 evidence, we ask that you consider not only what CNRL 3 did provide but what they did not provide. Why were 4 basic seismic tools capable of detecting smaller scale 5 faults not used? Why was a single semblance slice from 6 the B1 provided? If CNRL wanted to demonstrate that 7 there was no evidence of faults, it could have provided 8 semblance slices from the other strata.</p> <p>9 So, finally, with regard to a potential breach of 10 the barrier, you heard a great deal about the 10-01 11 well in this proceeding. The evidence in this 12 proceeding has made it clear that the GOB zone was 13 compromised. I think it's fair to say that the parties 14 agree that the pressure data indicates that the GOB has 15 been leaking with a hard shutdown on January 7th, 2020, 16 of this year.</p> <p>17 CNRL submitted evidence earlier in this proceeding 18 alleging that ISH had been producing GOB gas from the 19 10-34 well, a very serious allegation that is currently 20 under investigation by the AER. When ISH produced a 21 report by David Leech in this proceeding that provided 22 clear evidence that the 10-01 well had been flowing and 23 that the hard stop on January 7th, 2020, had to have 24 occurred within very close proximity of the 10-01 well, 25 CNRL changed its story, but not by very much.</p> <p>26 Now CNRL is alleging that ISH was producing GOB</p>	<p>486</p> <p>1 gas from the 10-01 well before the hard shutdown on 2 January 7th.</p> <p>3 Please keep in mind that this 10-01 well that ISH 4 is allegedly producing GOB gas from during much of 2019 5 is about 700 metres from the CNRL Kirby North central 6 processing plant. It has CNRL equipment installed 7 within it and produces monitoring data, which is 8 produced by CNRL, and was manually checked by CNRL 9 staff in 2019 on a regular basis.</p> <p>10 Now, this proceeding is obviously not about what 11 happened in the GOB zone, but the 10-01 well is very 12 central because CNRL wants to use it as a gas 13 monitoring well while ISH believes the well is 14 compromised and may be a conduit for steam into 15 overlying gas zones.</p> <p>16 The evidence in this proceeding makes it very 17 clear that the well was flowing in 2019. ISH believes 18 that the most reasonable conclusion that can be drawn 19 is that the 10-01 is compromised and the gas was 20 flowing behind casing until January 7th when hydrates 21 formed and shut down the leak.</p> <p>22 Now, obviously, we are not going to resolve the 23 issue of exactly what is happening within the 10-01 in 24 this proceeding. But the fact that evidence reveals 25 that here is an issue with that well is something that 26 I submit you need to take into account in your -- you</p>

<p>1 need to take it into -- you need to take account of in 2 your deliberations.</p> <p>3 So moving on to Issue Number 3, which is the need 4 for an observation well in the KN06 box. ISH submits 5 at the outset that monitoring should be focused on data 6 acquisition that will inform risks. We submit that 7 CNRL has not done a full risk assessment of the SAGD 8 operations in the KN06 box, and, as Ms. Giry noted in 9 her evidence, a risk not identified is a risk not 10 managed.</p> <p>11 ISH submits that there are -- that there are a 12 variety of risk-mitigation measures that could be used. 13 So with regard to identification of risks, one risk 14 that ISH has identified is that the MOP is too high at 15 start-up and creates hydraulic fractures.</p> <p>16 Now, Dr. Boone's expert report solely focused on 17 the risk and impact of hydraulic fractures during the 18 first hours of a well start-up. While he explained 19 that the risk is very limited that it's likely to have 20 an impact, he did not consider the presence of faults, 21 fractures, and a compromised well.</p> <p>22 CNRL has explained that it needs a 7 MPa at 23 start-up circulation to maintain operational 24 flexibility in their central processing facility. They 25 explained they'd prefer to take the risk of 26 hydraulically fracturing a well during start-up instead</p>	<p>487</p> <p>1 of adapting their operations to their facility's 2 constraints.</p> <p>3 The evidence reveals that CNRL's new standard 4 operating procedures would still not have prevented 5 hydraulic fracturing at KN06 O4-I. It would only have 6 resulted in a faster reaction time from their operating 7 staff to limit the impact. CNRL opts not to 8 incorporate any safety factor to the MOP and maintains 9 an MOP of 7 MPa during start-up for operational 10 convenience and flexibility, namely, to limit the 11 number of slugs creating offsets in the process at the 12 central processing plant.</p> <p>13 ISH submits that a true mitigation to limit the 14 risk relating to hydraulic fracturing during start-up 15 would be to reduce the MOP to 6 MPa. Loss of 16 operational flexibility when a well is brought into 17 circulation would only be temporary.</p> <p>18 Now, a second risk that ISH has identified is the 19 potential for steam and sour gas to contaminate the GOB 20 zone due to insufficient confining strata. Now, again, 21 we submit ISH has demonstrated that there are no 22 continuous and competent sealing barrier -- sealing 23 layers that will form a competent barrier between the 24 steam chamber and the GOB zone for the duration of the 25 SAGD project. We submit there's also evidence of 26 faults in the core and well log data with insufficient</p>
<p>489</p> <p>1 seismic to demonstrate that faults are not present in 2 the KN06 area.</p> <p>3 The risks associated to the vertical steam-chamber 4 growth is related to steam breaking through the 5 incompetent confining strata and to contamination of 6 the GOB zone by steam and sour gas produced by the 7 super-heated bitumen by aquathermolysis -- I -- I 8 didn't write that sentence -- aquathermolysis. And I 9 will be sure to send that word to our court reporter.</p> <p>10 CNRL did not share their plans to understand or 11 monitor steam-chamber growth at KN06 and the impact on 12 the GOB zone. They chose instead to refer to 13 similarities with regional geology when KN06 is 14 actually showing very specific geological features.</p> <p>15 CNRL monitors steam placement based on steam oil 16 ratio evolution and water material balance. As can be 17 seen in CNRL Directive 54 presentation submitted in 18 this proceeding as evidence, this monitoring technique 19 does not provide any information on vertical 20 steam-chamber growth and horizontal steam conformance.</p> <p>21 In other assets with not as much geological 22 complexity, CNRL has opted for drilling observation 23 wells and running RST tools to monitor steam-chamber 24 growth. CNRL briefly suggested that an observation 25 well could be drilled at a later date to track 26 steam-chamber containment, though they would not drill</p>	<p>490</p> <p>1 in an active chamber. This monitoring strategy was not 2 properly developed or explained during the course of 3 the proceeding, and CNRL has not mentioned any 4 intention of acquiring regular 4D.</p> <p>5 Monitoring must also be in place when SAGD 6 operations create conductive heating which increases 7 pore pressures and temperatures above the steam 8 chamber. The effect of this thermal expansion could be 9 to create additional fractures in the thin mudstones -- 10 in the -- in the -- sorry. I need to have a drink.</p> <p>11 The effect of this thermal expansion could be to 12 create additional fractures in the thin mudstones in 13 the B1 and A2 layers when present. CNRL briefly 14 mentioned that the 10-01 gauge data would be analyzed 15 on a very regular basis to look for inflections in the 16 pressure and temperature range and temperature trends. 17 CNRL cannot rely on 10-01 gauge data that may be 18 impacted by failed wellbore integrity.</p> <p>19 It is clear that CNRL is not willing to implement 20 a functioning monitoring system dedicated to the GOB 21 zone. ISH notes that any such monitoring would also 22 inform CNRL on the performance of their SAGD 23 operations, conformance of their steam chamber, and 24 location of the thief zones.</p> <p>25 If monitoring was in place, an effective 26 mitigation to protect the GOB would, then, be to reduce</p>

491	<p>1 steam injection pressure. This would eliminate risks 2 of steam and sour gas breakthrough in the GOB zone and 3 loss of steam for CNRL SAGD operations.</p> <p>4 CNRL stated that monitoring GOB is not required if 5 controls are in place. ISH notes that the objective of 6 a monitoring plant is to check the efficiency of the 7 preventive and reactive controls.</p> <p>8 In summary, with regard to monitoring, ISH 9 submits that CNRL should rework the seismic to properly 10 identify the magnitude of -- of fractures and faults 11 and confining strata vulnerability and drill an 12 observation well or observation wells located at 13 vulnerable containment locations in the KN06 box, as 14 well as any other relevant steam-chamber monitoring 15 techniques.</p> <p>16 Now, back to, again, briefly the 10-01 well. ISH 17 believes that the 10-01 well, a thermally compatible 18 but non-compliant well that was worked over by CNRL in 19 January 2015 to make it thermally compatible, is now 20 compromised. In March 2019, CNRL equipped the 10-01 21 well with a pressure temperature gauge for the dual 22 objective of cement integrity and GOB zone monitoring.</p> <p>23 CNRL conducts monthly interpretations but failed 24 to communicate any anomalous observations to the AER, 25 including large pressure drops representative of gas 26 depletion arguably because they could not connect the</p>	
492	<p>1 major pressure and temperature anomalies with their 2 SAGD operations.</p> <p>3 ISH got access to this data through this 4 proceeding on August 13, 2019, and -- sorry, in 2020 5 and conducted a well test analysis of temperature -- of 6 pressure temperature data that appears to demonstrate 7 that there has been GOB gassing -- GOB gas channelling 8 behind casing.</p> <p>9 Now, the well, as we've already said, stopped 10 leaking on January 7th, 2020, with a hard shutdown, and 11 since then, both parties have noted that the pressure 12 in the GOB zone is now higher than it was when 13 monitoring first was initiated in March 2019 possibly 14 indicating some pressure support from a lower zone.</p> <p>15 We submit that the cement logs run in January 2015 16 are not reliable evidence to prove isolation between 17 the McMurray formation bitumen zone, the GOB zone, and 18 Upper Mannville HH zone. Both parties agreed that 19 wells with good cement logs can experience well 20 integrity issues, such as surface casing vent flows.</p> <p>21 A well demonstrating serious cement bond failures 22 tends to have a low chance of success of being 23 remediated. Again, we submit the 10-01 remains the 24 most likely leakage pathway for steam and sour gas to 25 break through the GOB zone. This breakthrough event 26 would happen before steam -- the steam chamber matures.</p>	
493	<p>1 At minimum, if the approval under appeal is not 2 rescinded, we would request as -- as per Condition 7 of 3 the approval under appeal that prior to drilling wells 4 in the KN06 box, CNRL must complete or abandon the 5 10-01 well in a manner that is compatible with thermal 6 operations and, as per Condition 8 of the approval 7 under appeal, that CNRL must conduct an assessment of 8 the impact thermal operations may have on this well and 9 any plans required to mitigate risk of reservoir fluid 10 containment.</p> <p>11 And so, finally, a question that was raised by the 12 AER through its IRs to the parties, and that is: 13 Should the value of the resource dictate in any way the 14 mitigations put in place?</p> <p>15 So the AER has asked whether it should consider 16 value of ISH's resources in assessing whether or not to 17 order certain mitigations. CNRL has submitted that 18 certain mitigations ought not to be considered because 19 they may exceed CNRL's assessed values of the gas 20 resources.</p> <p>21 The purposes of the Oil and Gas Conservation Act 22 include effecting the conservation of and preventing 23 the waste of oil and gas resources in Alberta, as well 24 as affording each owner the opportunity of obtaining 25 the owner's share of production of the oil and gas -- 26 or gas from any pool. These are purposes which support</p>	<p>1 the view that ISH's resources should be protected no 2 matter what the cost.</p> <p>3 But, of course, the Oil and Gas Conservation Act 4 is not that simple, because it also provides for the 5 economic orderly efficient and responsible development 6 in the public interest of the oil and gas resources of 7 Alberta. CNRL will, of course, argue that it would not 8 be economic or efficient to require that it spend as 9 much or more on mitigations than its estimate of the 10 value of the GOB gas.</p> <p>11 We anticipate it will also argue that ruling which 12 requires that it spend more on mitigations than its 13 estimate of the GOB gas is contrary to the public 14 interest because it may mean that the more valuable 15 bitumen resources are not developed.</p> <p>16 So as is the case often with contested regulatory 17 applications, you will have to do a difficult weighing 18 exercise as you determine how to fulfill the seemingly 19 contradictory or conflicting purposes of the OGCA in 20 this case.</p> <p>21 So how to approach this weighing exercise. At the 22 outset, it must be noted that oil and gas operators in 23 this province, including SAGD operators, are expected 24 to bear the responsibility for fulfilling regulatory 25 requirements. This includes environmental 26 requirements; indigenous and stakeholder consultation</p>

<p>1 requirements; safety requirements; many, many other 2 requirements.</p> <p>3 And, in this case, those other requirements, 4 include those set out in Directive 23, which provides 5 that in situ operators -- in situ operations be 6 conducted in a manner that ensures reservoir fluid 7 containment. I respectfully submit that this is the 8 starting point. If CNRL wants to build and operate a 9 SAGD project, it needs to do so in accordance with 10 regulatory requirements.</p> <p>11 In this case, we believe that fulfilling those 12 requirements means that CNRL must do much more to 13 identify and mitigate the risks of producing bitumen 14 from the KN06 box. There is significant evidence of 15 faulting and fracturing in and around the KN06 box, 16 coupled with an incomplete barrier or top seal and the 17 presence of a potentially compromised well. As 18 previously outlined, some of those mitigations could 19 include the lowering of the start-up pressure, the 20 installation of a monitoring well, and/or 4D seismic. 21 The AER should review this and should order what it 22 deems appropriate in this case that would bring CNRL 23 within the regulatory requirements for this project. 24 Now, that may mean a 6 MPa start-up. That may mean a 25 monitoring well. That may mean 4D seismic. Or it 26 might be a suite of other mitigations. It should not</p>	<p>495</p> <p>1 allow CNRL to avoid meeting the regulatory requirements 2 for the building and operation of its SAGD project and 3 then impose all of the losses associated with CNRL's 4 failure to meet the regulatory requirements on ISH, 5 including the loss of ISH's future opportunity to 6 produce GOB gas.</p> <p>7 Now, I note that CNRL has provided an estimate of 8 GOB gas reserves that is so low -- that is so low that 9 it would, frankly, be impossible to imagine any 10 mitigations at all making sense if they were to be 11 dependent on not exceeding those values. CNRL has 12 valued ISH's NPV10 share of the reserves between minus 13 7,000 on the low side to plus -- or, sorry, minus 7,000 14 on the low side to plus 208 on the upside, with a note 15 that the high side is potentially inflated. ISH takes 16 a different view, with an estimate of its share of NPV5 17 at 1,751,000.</p> <p>18 Except for the reduction of the start-up maximum 19 operating pressure to 6 MPa, which is at no cost, the 20 mitigations proposed by ISH in this case, according to 21 CNRL's evidence, can range anywhere from 100,000 to 22 1 million, a range so wide as to be somewhat unhelpful 23 in assessing what might be appropriate should the AER 24 determine that it does wish to propose -- to assess 25 proposed mitigation -- proposed mitigations against the 26 value of underlying resources.</p>
<p>497</p> <p>1 The AER needs to assess the facts of each case in 2 fulfilling the purpose -- purposes of the OGCA. And I 3 respectfully submit that it should be cautious in 4 taking the position that a party like CNRL need not 5 fulfill its regulatory obligations. It should not 6 allow a party like CNRL to lay waste to the resources 7 of another party like ISH. Insofar as a decision like 8 that is made, it should be one, I submit, that should 9 be extremely rare. Those types of decisions by the 10 Regulator where one resource is destroyed in favour of 11 another can potentially lead to claims against the 12 Province for losses, and taxpayers of this province 13 should not be on the hook for the loss of, in this 14 case, GO -- ISH GOB resources because CNRL would prefer 15 not to pay the costs of basic regulatory obligations 16 that other SAGD operators incur.</p> <p>17 So, to conclude, ISH requests that the AER rescind 18 CNRL's Approval 11475EE for the KN06 box, pending 19 further review of risks and mitigative requirements.</p> <p>20 Now, I want to note that ISH does accept that, at 21 some point, the KN06 box will go forward, but what we 22 submit is that it should go forward with a fully 23 supported application, an application that reflects a 24 thorough understanding of the geological issues in the 25 KN06 box and that takes into account the risks that 26 exist as a result of that geology. It is not enough</p>	<p>498</p> <p>1 that an application of this nature go forward as a 2 boilerplate. We can't have applications of this nature 3 go forward on a, Well, we've just drilled another 96 4 wells; trust us, it's just going to be fine, approach. 5 It can't be based on an application that doesn't 6 contain basic seismic data. The issues of the KN06 box 7 need to be understood and faced head-on by CNRL in any 8 future application for this development.</p> <p>9 In the alternative, ISH requests that the AER 10 require that CNRL fully address the risks of steaming 11 in the KN06 box, which will include an assessment of 12 the 10-01 well prior to commencing steaming operations, 13 that it reduce the maximum start-up operating pressure 14 for KN06 to 6 MPa, and that it develop a monitoring 15 strategy for start-up and continuous SAGD operations 16 for operations in the vicinity of the KN06 box that 17 will monitor the confining strata and may include an 18 observation well or wells to replace the 10-01 well as 19 well as 4D seismic.</p> <p>20 And those are my submissions. I'm happy to take 21 any questions that the Panel may have.</p> <p>22 THE CHAIR: Thank you, Ms. Berg.</p> <p>23 Commissioner McKinnon, any questions?</p> <p>24 MS. MCKINNON: Yes, I have one, and I'm 25 trying to figure out how to best frame it.</p> <p>26 Alberta Energy Regulator Questions ISH Energy Ltd.</p>

499	500
<p>1 MS. MCKINNON: And, I think, Ms. Berg, you      2 addressed some of -- some of these issues or this issue      3 in your submissions but I'm going to frame it just a      4 little bit differently and ask you to address it that      5 way.</p> <p>6 And it's a question on the onus and where the onus      7 lies in this appeal that we're hearing. And I heard      8 you say that CNRL -- or Canadian Natural has to produce      9 better evidence. ISH is the applicant in this appeal,      10 so could you just address again more, I guess,      11 pointedly the onus question, where it lies and what we      12 need to consider when we are weighing the submissions      13 in this case.</p> <p>14 MS. BERG: Well, I -- I think that we      15 start with the -- with the technical questions, the key      16 questions set out -- the two key questions set out by      17 the AER with regard to -- to this matter, which is: Is      18 there a competent seal, and is there evidence of      19 fractures? And insofar as there is evidence of an      20 incompetent seal or barrier or fractures, it's -- it's      21 my submission that this -- this application should not      22 proceed.</p> <p>23 I guess in terms of the way to view it, if -- you      24 have before you far more evidence than the regulatory      25 applications group had before it prior to -- to      26 approving this application. So if -- if you were in</p>	<p>1 the position of the regulatory applications group and      2 had this evidence regarding fractures and potential      3 faults and an incompetent seal and no mitigations,      4 would you approve this application without additional      5 evidence to -- to -- without additional evidence to      6 take away those -- those concerns, and, in particular,      7 basic seismic evidence that -- that should be      8 available, some seismic slices -- some semblance slices      9 in this proceeding? The absence of them is significant      10 because they -- they should have been made available.      11 And so the fact that they are not made available and      12 the fact that there is so much evidence of fracturing      13 and faulting in the core, I submit that -- that if you      14 were in the regulatory applications group, you wouldn't      15 approve this application. You would -- you would ask      16 for further information and -- and would order certain      17 mitigations.</p> <p>18 And I -- I perhaps have not answered your question      19 with regard to -- to onus, but I -- I would step back      20 and -- and ask myself what -- what you would do if      21 you -- if you were in the regulatory applications group      22 and were determining whether or not you would be      23 proceeding or -- or requesting more data or -- or      24 requiring additional mitigations.</p> <p>25 MS. MCKINNON: So if we were to put ourselves      26 in that position, as you've just suggested, what I'm</p>
501	502
<p>1 hearing, I think, you're arguing is that -- and we      2 don't have more evidence because the evidentiary record      3 is closed. So you're arguing that we -- we should      4 revoke because we can revoke or suspend or -- I'm      5 missing one, but, anyway -- that those are the options      6 that we have under an appeal, so you're suggesting we      7 would revoke because we don't have enough evidence?</p> <p>8 MS. BERG: You would revoke and let      9 the -- the applications group gather the additional      10 material that is needed and make an assessment of      11 the -- the additional mitigations that would be      12 appropriate in this case, yes.</p> <p>13 MS. MCKINNON: Okay. And then your      14 alternative argument, I think, if I'm framing this      15 correctly, is that we would vary the decision by      16 reducing the operating start-up pressure, requiring an      17 observation well; is that correct?</p> <p>18 MS. BERG: Yes. That you would put in      19 mitigations that help address some of the issues with      20 both the lack of a barrier and the evidence of      21 fracturing and faulting in -- in the KN06 box area.</p> <p>22 MS. MCKINNON: I think that's it. I have --      23 I had another one, but I think you addressed it. Just      24 give me one sec.</p> <p>25 So just to follow up, then, on the last question,      26 the reduction of the MPa to 6 and the establishment of</p>	<p>1 an observation well would be acceptable to ISH as its      2 alternative?</p> <p>3 MS. BERG: Yes. And in addition, we --      4 we would want there to be an assessment and -- and to      5 be clear, I mean, ISH has requested 4D seismic as -- as      6 one of the options. I think it would be actually very      7 nice to have a well-done 3D seismic. You know, that --      8 that could be a starting point. All of the semblance      9 slices could be an additional starting point. So      10 additional information gathered and -- and mitigations      11 appropriate to -- to what is seen in that KN06 box.</p> <p>12 MS. MCKINNON: Okay. Just to circle it back      13 to your economics argument, what is -- what, in your      14 opinion, is the Panel's role in considering the      15 relative economics? For example, 4D seismic, I      16 understand, is very expensive, and so you did address      17 the -- the question of the OGCA and the wastage and the      18 relative economics.</p> <p>19 Is there a point where the Panel should say, Wait      20 a minute. This is just too much to ask an operator to      21 provide? Or are you arguing that the OGCA requires us      22 to ensure all of the other fractures, including      23 wastage, would, I guess, be -- would take the economic      24 consideration to a different thing than just the      25 weighing the costs and the benefits?</p> <p>26 MS. BERG: So I think that in making any</p>

<p>503</p> <p>1 decision you always have to carefully consider all of 2 the different requirements of the OGCA and balance 3 them, and it's a difficult exercise. If it was a 4 simple, you know, check off the boxes easily, I mean, 5 we wouldn't all be, you know, struggling with -- with, 6 you know, lengthy applications like -- like this one.</p> <p>7 With regard -- so, I mean, in answer to your 8 question, let's take a very extreme case. Let's say 9 there -- there's a \$100 million mitigation required 10 and, you know, a million-dollar resource that's being 11 protected. Obviously, you know, in that -- in that 12 extreme kind of case, the Regulator would never order 13 such a mitigation, but I argue as well that such a case 14 would never come before the Regulator because -- 15 because these are always commercial parties that make 16 commercial decisions.</p> <p>17 And so to some degree, I think the Regulator also 18 just has to let commercial negotiations happen. If -- 19 if one party, you know, is tired of -- of dealing with 20 another one -- and, frankly, I think it's fair to say 21 that -- that both ISH and CNRL are somewhat annoyed at 22 each other over -- over recent -- recent years.</p> <p>23 So in this case -- but I -- but I think that that 24 is -- should be the rare case, Number 1, because I 25 think it's rare that anything extreme would ever show 26 up before you, and -- and I'd also say that I don't</p>	<p>504</p> <p>1 think that's this case. I don't accept -- I submit 2 that you should not accept the minus 7,000 and the 3 plus -- I don't know -- 208,000 inflated estimate that 4 CNRL put forward as the value of ISH -- ISH GOB 5 resources.</p> <p>6 And, you know, CNRL was asked about the cost of 7 mitigations. They know what 4D seismic costs. They 8 know what GOB wells -- or not GOB wells but monitoring 9 wells costs. Yet in -- in their -- in their response 10 to the AER IRs, put in, you know, a very unhelpful 11 range of, you know, 100,000 to a million. I mean, 12 what -- what does that tell you?</p> <p>13 So -- so I think that -- while I think -- and 14 sorry for the lengthy answer. While I think that there 15 are obviously cases where the AER would need to -- to 16 say, No, this -- this level of mitigation is not 17 appropriate because of the relative value of the 18 resource, I don't think that's this case.</p> <p>19 And I -- I want to say again that -- that another 20 reason that the AER -- why such a decision should be 21 the very rare case is because a decision that strands 22 or -- or destroys -- allows for the destruction of 23 another entity's resources does, I think, create a 24 possibility for liability of the province, and -- and 25 again, parties should -- parties like CNRL, like ISH 26 when it -- it's pursuing a project, they need to bear</p>
<p>505</p> <p>1 the economic consequences of -- and -- and regulatory 2 costs of their own projects. That's not something that 3 should be pushed on the taxpayers of this province 4 unless it's a truly, truly exceptional situation as was 5 the case, for example, in the gas over bitumen 6 decisions.</p> <p>7 So, again, I've gone on quite a long time, and I'm 8 not sure I entirely answered your question.</p> <p>9 MS. MCKINNON: That was helpful. Thanks. 10 Those are my questions for you.</p> <p>11 THE CHAIR: Commissioner McKinnon -- or 12 Zaitlin. Sorry.</p> <p>13 DR. ZAITLIN: Thank you.</p> <p>14 ISH provided and you provided a list of the 15 additional data required -- that you believe is 16 required for a full risk assessment, but you didn't 17 mention what type of data -- or technique would be 18 required, and you'd want to see it vary in the 19 application of the evaluation of the 10-01 well. What 20 additional work would need to be done, in ISH's 21 opinion, to be able to determine the integrity of the 22 10-01 well?</p> <p>23 MS. BERG: And, unfortunately, I am 24 probably the person least capable of responding to that 25 question, given my lack of technical expertise, but I 26 do know that chat logs are definitely something that</p>	<p>506</p> <p>1 ISH is interested in seeing pursued, and if you could 2 give me one moment, I -- I do have someone beside me 3 who would be able to provide a more sound and technical 4 response. So are you able to give me just a moment, 5 sir? Yeah? Okay. Thank you. Just a moment.</p> <p>6 So, sir, I'm advised that in addition to the chat 7 log ISH would want further -- further assessment of the 8 cement and -- and, frankly, would just need to work 9 with CNRL to understand, you know, for example, what 10 CNRL encountered when -- when putting in that 11 monitoring data in 2019. I mean, really, it is going 12 to require that the -- that these parties work together 13 to determine the best path forward for that well.</p> <p>14 DR. ZAITLIN: Thank you.</p> <p>15 That's it, Madam Chair.</p> <p>16 THE CHAIR: Thank you.</p> <p>17 Ms. Berg, I have a question that may in some way 18 circle back a bit to the line of questions that 19 Commissioner McKinnon started, and that's that: The 20 fact that the 10-01 GOB well has been shut in by virtue 21 of regulatory order, does that come into play at all in 22 our decision-making or should it and, if so, to what 23 extent?</p> <p>24 And I'll have the same commission -- or question 25 for Canadian Natural and Ms. Jamieson, so heads-up.</p> <p>26 MS. BERG: The fact that it has been shut</p>

<p>1 in, should that affect your decision? I'm not sure 2 that --</p> <p>3 THE CHAIR: By virtue of an order, not by 4 the choice of ISH.</p> <p>5 MS. BERG: Well, I think that -- like, 6 the key issue with the 10-01 well in this proceeding 7 is -- it's not whether it's shut in due to order or for 8 any other reason. It is that it may be compromised. 9 And I -- I think that what is -- what is critical is -- 10 is that there be some investigation -- further 11 investigation to determine what is going on with that 12 well.</p> <p>13 There is something. I think the parties -- you 14 know, there's very few things that people agree on in 15 this proceeding, but I think that the parties can agree 16 that there is -- there is something going on with that 17 well. I don't see the fact that it is shut down by way 18 of order to be -- to be of any -- of any impact in -- 19 in this particular -- I may be misunderstanding your 20 question.</p> <p>21 THE CHAIR: I'll try one more time just to 22 be --</p> <p>23 MS. BERG: Okay.</p> <p>24 THE CHAIR: -- sure that I'm clear.</p> <p>25 So you had urged us to -- that we've got to carry 26 out a weighing exercise, and in that weighing exercise,</p>	<p>507</p> <p>1 we need to take into account the regulatory framework, 2 including Directive 23, the purposes provisions in the 3 Oil and Gas Conservation Act. Then we'd had a 4 discussion about the differences in economic 5 evaluation. But at the end of the day, we're going to 6 have to take those things into account, weigh the 7 different factors, and make our decision.</p> <p>8 I guess my question put another way could be: 9 Should the fact that the -- that ISH is not at this 10 point able to produce the gas from the Wab B from the 11 10-01 well, if it wanted to, be a factor that -- 12 because of the GOB order a --</p> <p>13 MS. BERG: Okay.</p> <p>14 THE CHAIR: -- factor that we should take 15 into account in our weighing, in our balancing?</p> <p>16 MS. BERG: So I guess that more goes to 17 the fact that, I mean, GOB -- and perhaps I've got 18 someone here who can help me better understand your 19 question, if you can give me a moment.</p> <p>20 THE CHAIR: So, Ms. Berg, sorry for 21 interrupting. I see it more as a legal -- I'm thinking 22 of it as a legal question, so ...</p> <p>23 MS. BERG: Yeah. And so, I mean, 24 obviously there are commercial issues that -- that come 25 into -- to play with -- with the fact that it's -- that 26 it's shut in. Yeah. I guess --</p>
<p>509</p> <p>1 THE CHAIR: Okay. No.</p> <p>2 MS. BERG: Yeah. I -- again, I think 3 that the critical issue in this proceeding is -- is 4 first and foremost determining what is going on with 5 that well and -- and addressing it head on.</p> <p>6 THE CHAIR: Okay.</p> <p>7 MS. BERG: And as for, you know, I mean, 8 orders as to what should -- it's the physical 9 characteristics of what's going on at that well that 10 I -- I think are critical to this proceeding. I mean, 11 the GOB order is what it is right now, and I'm not sure 12 how it -- it really affects what you are weighing in -- 13 in this particular proceeding.</p> <p>14 THE CHAIR: All right. Thank you.</p> <p>15 So just looking for my clock. There we are. It's 16 10:21. If we take a break now and come back at 10:45, 17 will that give you time to be ready to go, 18 Ms. Jamieson?</p> <p>19 MS. JAMIESON: Could we make it 10:50 so I 20 can have -- we sort of budgeted 30 minutes to get back 21 together on the break, and I might be mistaken about 22 that, but that's what I had in my head.</p> <p>23 THE CHAIR: Yeah. Okay. That's fine.</p> <p>24 MS. JAMIESON: Okay. Thank you very much.</p> <p>25 THE CHAIR: So we are adjourned until 10:50.</p> <p>26 (ADJOURNMENT)</p>	<p>510</p> <p>1 THE CHAIR: All right. Now that the host 2 has unmuted everyone, Ms. Jamieson, whenever you're 3 ready.</p> <p>4 Closing Remarks by Canadian Natural Resources Limited</p> <p>5 MS. JAMIESON: (AUDIO FEED LOST)</p> <p>6 THE CHAIR: You're muted.</p> <p>7 MS. JAMIESON: And it was such a great start. 8 Let me hit rewind.</p> <p>9 So good morning, Madam Chair and Panel Members.</p> <p>10 I'm pleased to make these closing remarks on behalf of 11 Canadian Natural.</p> <p>12 As the Panel's aware, this is a regulatory appeal 13 of an amendment to the Kirby North scheme approval, 14 Scheme Approval 11475EE, which allows Canadian Natural 15 to drill and operate a sixth steam gravity -- sorry, 16 steam-assisted gravity drainage box, KN06, for the 17 recovery of crude bitumen from the McMurray formation 18 within the Kirby North area.</p> <p>19 Counsel this morning for ISH suggested that this 20 scheme approval required a fundamental revisiting. I'm 21 going to suggest to you that that's fundamentally not 22 the case, that it is the KN06 amendment approval that 23 is at issue in this proceeding and that for the Panel 24 to consider revisiting or opening up the original 25 scheme approval would not be appropriate.</p> <p>26 On April 30 of this year, this Panel set out three</p>

<p>1 hearing issues, which I will address in detail in a few      2 moments. In our view, the key decision that this Panel      3 needs to make is whether Canadian Natural's SAGD      4 operations at the KN06 box presents an unacceptable      5 risk to ISH's interests in the Wabiskaw B pool.</p> <p>6 THE CHAIR: Sorry. Ms. Jamieson, your      7 screen has frozen. So we can hear you, but I think      8 we've lost video.</p> <p>9 MS. JAMIESON: We'll just check on that.      10 We're not seeing anything on our end, so ...</p> <p>11 UNIDENTIFIED SPEAKER: Oh, there you go. You got      12 kicked out.</p> <p>13 MS. JAMIESON: We're getting kicked out. I      14 got kicked out today.</p> <p>15 MS. TURNER: Madam Chair, we'll just wait,      16 I believe, for Ms. Jamieson to reconnect?</p> <p>17 THE CHAIR: Yes, we will.</p> <p>18 MS. TURNER: Okay. It doesn't seem to be      19 signal strength on our issue -- on our end, so perhaps      20 they're having some issues on their end.</p> <p>21 THE CHAIR: It appears as though she's      22 calling in.</p> <p>23 MS. JAMIESON: I am. I am on the phone, so      24 we have audio. We just have to go right back to the      25 Zoom invitation.</p> <p>26 THE CHAIR: Ms. Turner, is there any point</p>	<p>511</p> <p>1 to us all leaving and coming back? Would that make any      2 difference? Or if the issue's on their end, we just      3 have to wait?</p> <p>4 MS. JAMIESON: Madam Chair, it does appear to      5 be on my end, and we just have to disconnect from the      6 internet and come back. So I'll just take a moment and      7 see if this works.</p> <p>8 THE CHAIR: Okay. Yeah. Go ahead.</p> <p>9 MS. JAMIESON: Madam Chair (AUDIO FEED LOST)      10 I think we're going to get me a new screen here. That      11 might solve it.</p> <p>12 THE CHAIR: Okay. Now we see you.</p> <p>13 MS. JAMIESON: You can? Good. It appears      14 I'm back. Just give me one more moment. I'll get      15 physically set up. Okay. Let's try this.</p> <p>16 All right. I'm just going to repeat my last      17 paragraph.</p> <p>18 On April 30th, 2020, this Panel set out three      19 hearing issues which I will address in detail in a      20 moment. In our view, the key decision that this Panel      21 needs to make is whether Canadian Natural SAGD      22 operations at the KN06 box presents an unacceptable      23 risk to ISH's interest in the Wabiskaw B pool.</p> <p>24 To this, we say there is an extremely low risk      25 that Canadian Natural's operations will impact the      26 Wabiskaw B gas. Canadian Natural respects that ISH is</p>
<p>513</p> <p>1 concerned about the potential impact to the GOB zone.      2 This concern is simply unfounded and does not warrant      3 any change in Canadian Natural's proposed start-up for      4 monitoring procedures.</p> <p>5 With respect, Canadian Natural requests that this      6 appeal be denied. Canadian Natural's also asking that      7 the conditions outlined by ISH in its response to the      8 Panel's information request, AER to ISH 007, which is      9 Exhibit 66.01, pages 9 and 10, also be denied.</p> <p>10 The framework for this regulatory appeal starts      11 with Section 42(2) of the Responsible Energy      12 Development Act, REDA. This Panel's task on this      13 appeal is to determine whether Scheme Approval      14 11475EE should be confirmed, varied, suspended, or      15 revoked for the KN06 box, to be clear.</p> <p>16 In arriving at its decision, this Panel must      17 consider certain factors in its governing legislations.      18 Section 2 of the REDA states that the AER's mandate is      19 in part to: (as read)</p> <p>20 Provide for the efficient, safe, orderly, and      21 environmentally responsible development of      22 energy resources in Alberta.</p> <p>23 Given that this regulatory appeal relates to an      24 application filed under the Oil Sands Conservation Act      25 and the Oil Sands Conservation Rules, Section 15 of      26 REDA and Section 3 of the responsible -- of REDA</p>	<p>514</p> <p>1 General Regulations also apply.</p> <p>2 Pursuant to Section 3 of these regulations, this      3 Panel must also consider the social, economic, and      4 environmental effects of the energy resource activity.</p> <p>5 Canadian Natural applied for the KN06 box pursuant      6 to Section 13 of the OSCA as well as the Alberta Energy      7 Regulator's Directive 78 as an amendment application.</p> <p>8 ISH's counsel this morning suggested that in some      9 way the application was not compliant with Directive 23.</p> <p>10 The Directive 23 requirements contain -- first of all,      11 Directive 23 is the directive that applied for the      12 original scheme approval, if you will. It's been, I      13 believe, in draft form since, but it does include a      14 requirement to contain the steam and fluids.</p> <p>15 And Canadian Natural is not taking issue with      16 that. Canadian Natural acknowledges those regulatory      17 requirements apply here and takes those requirements      18 seriously. In our view, Canadian Natural is fully      19 compliant with whatever regulations apply.</p> <p>20 In considering whether to confirm, vary, suspend,      21 or revoke the AER's decision to Approve Application      22 Number 1909305, this Panel must also regard for the      23 purposes of the OSCA, as set out in Section 3 of that      24 Act, including: (as read)</p> <p>25 To effect conservation and prevent waste of      26 the oil sands resources of Alberta; to ensure</p>

<p>1 orderly, efficient, and economic development 2 in the public interest of the oil sands 3 resources of Alberta; [and] (g) to ensure the 4 observance, in the public interest, of safe 5 and efficient practices in the exploration 6 for and the recovery, storing, processing, 7 and transporting of oil sands, discard, 8 crude [that must be a typo] crude bitumen, 9 derivative crude bitumen, and oil sands 10 products.</p> <p>11 Now, I want to acknowledge that Ms. Berg brought up the 12 oil sands -- or, sorry, the Oil and Gas Conservation 13 Act and those regulations in respect of the GOB zone, 14 and I think that's probably the case. In this case, 15 the AER's mandate would include consideration and 16 conservation of the oil sands as well as consideration 17 under the Oil and Gas Conservation Act, the GOB zone. 18 However, I don't think that's going to be an issue. 19 There's alignment in the priorities with respect to the 20 development of both resources.</p> <p>21 This Panel may also consider the broader context 22 in which this regulatory appeal is being heard, and we 23 believe it is important to do so here. In the recent 24 decision, 2020 ABAER 005, the AER considered the 25 broader context in which three disposable wells in a 26 single pipeline application were made, i.e., to support</p>	<p>515</p> <p>1 the previously approved Hangingstone waste management 2 facility.</p> <p>3 There is also a verbiage in that decision report 4 about how the AER is to consider its legislative 5 mandate and the regulatory requirements that apply in 6 relation to the broader context, and I would encourage 7 the Panel to take a look at that decision. I thought 8 it was helpful.</p> <p>9 Before -- oh, standard of review. I just want to 10 touch on this briefly. In that same decision, the 11 standard of review that should apply to a regulatory 12 appeal received some discussion. And at the time, I 13 considered the nature of regulatory appeals to consider 14 both the filed record of the material that AER 15 authorizations considered in making the original 16 application. I think, Madam -- Panel, do you still 17 have me on video? I'm seeing my name came up. Maybe 18 it's just a different view.</p> <p>19 THE CHAIR: Yes. We can still see you.</p> <p>20 MS. JAMIESON: Okay. Thank you very much.</p> <p>21 All right.</p> <p>22 In that decision -- yes. In that decision, the 23 question was really about the hearing Panel's ability 24 to receive new information in the context of a 25 regulatory appeal.</p> <p>26 It determined that, given the hybrid de novo</p>
<p>1 nature of the proceedings and its distinction from a 2 typical appeal on the record, it was not necessary to 3 apply a standard of review. Instead the decision on 4 whether to confirm, vary, suspend, or revoke the 5 earlier decision is to be based on the record before 6 the Panel.</p> <p>7 And I raise that partially because there's some 8 question about whether or not perhaps -- one of the 9 resolutions is -- coming from ISH is for Canadian 10 Natural to be -- to be required to go back and sort of 11 resubmit the application and provide additional 12 information as if it was somehow deficient or lacking, 13 and we would suggest that that's simply not the case. 14 The Panel is positioned now with all the information on 15 the record to consider the merits of the appeal and 16 does not need to take further steps in regard to the -- 17 the application.</p> <p>18 Sorry. There's some type of -- I'm getting lots 19 of IT challenges this morning. Oh, that's why. It's 20 echoing or something.</p> <p>21 So the other point we make is -- in terms of 22 standard of review is it would be our submission that 23 the hearing panel should be applying a reasonableness 24 test to the issues before it. But since the GOB 25 proceedings in 2004, 2005, there actually has been very 26 little considerations to GOB issues by this regulator</p>	<p>517</p> <p>1 or the Courts.</p> <p>2 In terms of case law, we have only the one case 3 that addresses bitumen directly, and that is "Alberta 4 Energy Company Ltd. v. Goodwell Petroleum Corporation 5 Ltd." and the cite for that, 2003, Alberta Court of 6 Appeal 277, Goodwell.</p> <p>7 And it suggests that bitumen mineral rights 8 holders can extract the minerals pursuant to those 9 rights even if so doing they interfere with and/or 10 commit waste of another's minerals.</p> <p>11 Now, in its decision letter -- yeah. So in its 12 decision letter to grant this appeal dated February 11th, 13 2020, the AER noted that this case references several 14 Alberta cases that deal with the incidental production 15 that involved gas and initial gas-cap gas in the 16 production of bitumen, and on the ownership of coal bed 17 methane, and that the Goodwell case addresses the 18 situation where interference with or wastage of 19 another's minerals is reasonably necessary to win, 20 work, recover, and remove one's own minerals.</p> <p>21 We acknowledge that these cases have their genesis 22 in an early decision of the Alberta Court of Appeal on 23 a split-title dispute between holders of petroleum 24 rights and natural gas rights where the Court held 25 that -- and I quote: (as read)</p> <p>26 The petroleum rights holders are entitled to</p>

<p>1 extract all the petroleum from the earth even      2 if there is interference with and a wastage      3 of the natural gas rights holders' gas so      4 long as in the operations modern methods are      5 adapted -- adopted and reasonably used.</p> <p>6 The AER picked up on this test when it stated at the      7 bottom of page 4 of that decision letter, February 11,      8 2020, in the statement in relation to this proceeding.</p> <p>9 An essential question here, then, is whether the      10 approved start-up injection pressure for KN06 is      11 reasonable in the circumstances. Our view is that the      12 Panel in this proceeding can apply similar tests to all      13 three hearing issues in this proceeding. In other      14 words, are Canadian Natural's plans to develop the KN06      15 reasonable in the circumstance?</p> <p>16 This test is very similar to the one that the      17 Alberta Environment -- or, sorry, the AER employs on a      18 regular basis. And that is, is Canadian Natural acting      19 in a prudent and responsible manner such that potential      20 impacts from its operations can be avoided or      21 mitigated?</p> <p>22 Before I go on, I just want to make it clear      23 because it did come up, I believe, in the discussion      24 between Ms. Berg and, I believe, Ms. McKinnon, this      25 concept of wastage. Canadian Natural has not applied      26 and has no intention to waste the gas. That is not</p>	<p>519</p> <p>1 what this proceeding is all about. And so the Panel      2 doesn't need to think in terms of bitumen or the GOB.      3 It's not one or the other, in this case.</p> <p>4 The whole GOB proceedings were designed. They      5 recognized the need for the gas to stay in place in      6 order to keep the pressure on the bitumen resource in      7 order for it to be optimized or the recovery to be      8 optimized. So it's not a question of one or the other.      9 Certainly not at this stage.</p> <p>10 This is a matter of Canadian Natural gets to go      11 first. The bitumen gets to be produced. And then in      12 time, once the bitumen's recovered, then the GOB can be      13 produced. So it's not a matter of wastage or -- I'm      14 forgetting Ms. Berg's phrase -- destroying the GOB      15 resources. That is not an issue in front of you on      16 this appeal.</p> <p>17 Now, with respect to evaluating the potential      18 impacts that ISH alleges, this Panel will need to weigh      19 the technical evidence. I think Ms. Berg stated that      20 the AER is a specialized tribunal well-positioned to      21 assess which opinion is technically sound and what      22 evidence is the strongest and most reliable, and we      23 agree with those statements.</p> <p>24 I think she was relating it to the geology and the      25 seismic evidence, and there is no question in our view      26 that that is the significant technical evidence that</p>
<p>521</p> <p>1 needs to be weighed, and we trust that the Panel will      2 do so as it does in the normal course.</p> <p>3 So this is a task well familiar to the AER and      4 this Panel, and it's certainly applicable here. The      5 first technical question is whether or not there's an      6 effective confinement barrier between its SAGD      7 operations -- between Canadian Natural's SAGD      8 operations and the Wabiskaw B gas. In Canadian      9 Natural's view, the technical evidence clearly      10 demonstrates that there is an effective containment      11 barrier.</p> <p>12 This Panel must also weigh risk. First to      13 determine whether there is -- in fact, there is a risk.      14 A concern is not a risk. We ask that the Panel gives      15 due consideration as to whether or not there is an      16 actual risk in this circumstance or whether the      17 concerns raised by ISH are actually perceived risks.      18 The next question is: If there is a potential      19 risk, can it be or is it sufficiently mitigated? Risks      20 should be managed to a point where they are low risks      21 or acceptable risks. This Panel -- this Regulator      22 deals with risk all of the time, I'm going to suggest,      23 and it's rare that any energy activity comes with zero      24 risk. So that can't be the expectation or the      25 standard. This is about whether or not there is an      26 acceptable risk in the circumstance.</p>	<p>522</p> <p>1 This is a slightly different question than      2 monitoring. I think on the monitoring options, the      3 Panel should be asking itself whether it's reasonable      4 in the circumstances given consideration of the      5 effectiveness of the options measured against its cost      6 and benefits, and I'll remind this Panel that, of      7 course, the governing legislation does speak in terms      8 of social, environmental, and economic benefits and      9 impacts, and I think that economic consideration should      10 certainly -- certainly be one of the considerations      11 here.</p> <p>12 Now, before I leave the -- the framework for this      13 appeal, I do want to touch on the onus or the burden of      14 proof on the appellant. So I don't have a citation for      15 you, but it's typical in the general law that the      16 burden of proof is on the appellant to actually      17 demonstrate that their issue is -- can be      18 substantiated.</p> <p>19 And I would suggest -- and we'll come back to this      20 in detail, but here ISH has failed to meet that burden      21 test in a few ways, but, in particular, on the      22 geological evidence its provided as well as its      23 evidence on faults and fracturing, particularly, the      24 evidence when the Panel goes looking for it, I think      25 it'll find the evidence on those two topics wanting.      26 Okay. So now I'll turn to the three hearing</p>

<p>1 issues, if I could. So the first issue, of course, was      2 whether or not there's an effective containment barrier      3 in the area of KN06, and in Canadian's view -- Canadian      4 Natural's view, of course, the evidence clearly      5 demonstrates that there is an effective barrier      6 overlying the McMurray formation and consists of post      7 B2 non-reservoir, the regional B1 sequence, and the A2      8 mudstone. All three of these units can be mapped with      9 core and image logs and will contain steam to within      10 the bitumen zone of the McMurray formation under the      11 approved SAGD start-up and operation conditions.</p> <p>12 I want to touch briefly on the 2003 regional      13 geological study. That study established a framework      14 for use in delineating various stratigraphic units      15 throughout the oil sands areas. You heard Mr. Lavigne      16 describe the regional stratigraphy in detail, and I'm      17 not going to review that evidence in detail here except      18 to make one salient point.</p> <p>19 Back in 2003 and the time of the regional      20 geological study, only discrete regional mudstones were      21 recognized to provide steam-chamber containment.      22 However, at the time, there was a very limited number      23 of SAGD operations. After almost 20 years of expansive      24 SAGD development, it is now well-established that the      25 silty mudstones overlying the McMurray reservoir acts      26 as an effective containment strata in addition to the</p>	<p>523</p> <p>1 only regional extensive massive low-permeability      2 barriers.</p> <p>3 This is not just Canadian Natural's view, but it's      4 well-established by the academic literature which was      5 filed by Canadian Natural in this proceeding, and there      6 I'll point you to Exhibit 30.02, which is Canadian      7 Natural's hearing submission PDF page 76 of 2019 at      8 Tab 15. That's where you'll find the Collins, et al.      9 paper, 2011.</p> <p>10 And then we did also file the abstract for the      11 Jablonski 2014 paper that was referred to by ISH in      12 their submission, and that's at Exhibit 63.02,      13 paragraph 16, PDF 10 of 102. One more cite for that,      14 when we brought in the abstract, it was one of our aids      15 in cross-examination. So I'll get that number for you.</p> <p>16 Turning now to the three individual stratum that      17 Canadian Natural points to. We want to review the      18 evidence that you have in relation to each one.</p> <p>19 So Canadian Natural's evidence with respect to the      20 post B2 non-reservoir. This would be the lowest of the      21 three confinement strata. Canadian Natural's evidence      22 is that the mudstone prone inclined heterolithic      23 strata, or what's known as "IHS," capped those      24 reservoir units within the post B2 incision at KN06.      25 And there's a type log filed at Exhibit 30.02, PDF 69      26 of 209, Tab 8.</p>
<p>525</p> <p>1 These non-reservoir facies form a wedge-shaped      2 mudstone prone deposit ranging in thickness from 1.4 to      3 6.4 metres over the entire KN06 drainage box. At KN06,      4 the top of the reservoir is determined to be the point      5 where the vertical permeability is too low to allow      6 steam to penetrate into overlying facies due to high      7 mudstone content. This would be the base of the post      8 B2 non-reservoir. Core photos at typical post B2      9 non-reservoir facies are shown in Exhibit 30.02 of      10 page 70 of 209, Tab 9. The isopach map of the total      11 non-reservoir post B2 sediment is shown in Canadian      12 Natural's evidence as Exhibit 30.01, PDF 71 of 209,      13 Tab 10.</p> <p>14 The temperature data submitted by Canadian Natural      15 clearly demonstrates that steam stops at the post B2      16 non-reservoir. The reservoir saturation tool, the RST      17 data, is from Canadian Natural's Jackfish property,      18 which is -- which after ten years of production is      19 nearly depleted and confirms that the top of the steam      20 chamber stops within the post B2 reservoir and does not      21 penetrate even in the post B2 non-reservoir facie.</p> <p>22 This is significant because what Canadian      23 Natural's actually offering is a package of confinement      24 strata of which the first is completely effective to      25 contain (AUDIO FEED LOST). The additional layers are      26 really redundant and provide extra insurance that the</p>	<p>526</p> <p>1 steam will stay contained. That's how the Panel should      2 be thinking of this. The first one demonstrates. So      3 if you actually take a look -- a good look at Canadian      4 Natural's evidence on the post B2 non-reservoir, it      5 should take high confidence that there is an effective      6 barrier there.</p> <p>7 Now, just -- sorry. I lost my -- so did I cover      8 the gas -- I just want to talk about gas      9 chromatography-mass spectrometry, the GC-MS evidence,      10 which also suggests that the post B2 non-reservoir      11 barrier is effective to contain steam. The GC-MS data      12 at the 1AA/11-01 wells shows breaks in the hydrocarbon      13 column that demonstrate compartmentalization.</p> <p>14 Within the post B2 non-reservoir unit, two clear      15 barriers occur, and for that, I would point you to      16 Exhibit 30.02, PDF 109 of 209, Tab 19, as well as --      17 Mr. Lavigne covered it in his opening statement,      18 Exhibit 88.02.</p> <p>19 Now, there were several questions on cross where,      20 I believe, Ms. Berg was trying to suggest that Canadian      21 Natural had not applied the theoretical model or the      22 pattern that comes with the GC-MS tool, that Canadian      23 Natural was not applying it correctly. We would      24 suggest that that was a complete misunderstanding on      25 ISH's part and that the image shown in Mr. Lavigne's      26 presentation actually demonstrates that there are six</p>

<p>1 barriers throughout the confinement strata as opposed 2 to sort of one linear -- or one connected barrier, as 3 ISH was trying to (AUDIO FEED LOST).</p> <p>4 So on behalf of ISH, Mr. Mathison criticized the 5 effectiveness of ISH's confinement strata on the basis 6 that mudstone beds and IHS are laterally discontinuous 7 and sandy. Mr. Mathison seemed to ascribe to the now 8 outdated view that only regionally extensive massive 9 and low permeability formations can act as barriers. 10 We would suggest to you that that was back in 2003, 11 that that was the prevalent view and over the past 17 12 years has evolved considerably.</p> <p>13 Canadian Natural, of course, disagrees with this 14 assessment as the analytical evidence from the 15 operational data from its Kirby South and Jackfish 16 projects irrefutably concludes that the steam is, in 17 fact, being contained by the much -- mud-rich IHS in 18 the post B2 non-reservoir formation.</p> <p>19 Turning now to the mid-B1 mudstone. Next, 20 Canadian Natural relies on the B1 sequence that 21 caps the fine-grained non-reservoir facies of the post 22 B2 incision and consists of a heterolithic package of 23 generally bioturbated sandstones and mudstones. In 24 total, the B1 sequence ranges from 7.1 to 9.7 metres in 25 thickness. Upper and the lower B1 units are separated 26 by the mid-B1 mudstone, which is a clearly visible and</p>	<p>527</p> <p>1 mappable mudstone unit discernible in core and on well 2 logs. In the KN06 box, the mid-B1 mudstone is 3 continuous. It's up to 1.4 metres thick. For that, 4 the Panel can turn to Exhibit 30.02, PDF page 74 of 5 209, Tab 13.</p> <p>6 Geomechanical evaluation also confirms that the 7 stress contrast exists between the McMurray post B2 8 reservoir and the mid-B1 mudstone such that this 9 fracture containment mechanism will work to effectively 10 contain any potential hydraulic fractures during 11 start-up.</p> <p>12 Canadian Natural's modelling evidence further 13 substantiates that the mid-B1 mudstone will work as an 14 effective barrier. Rigorous geomechanical modelling of 15 the potential fracture growth was used to demonstrate 16 that the stress contrast in the mid-B1 mudstone is one 17 of the three effective fracture containments. It would 18 be Exhibit 88.02, Slides 50 to 52 of 73.</p> <p>19 You heard Dr. Boone speak to a stress gradient 20 contrast of 0.5 kPa per metre or greater being an 21 effective fracture containment mechanism. For that, 22 you can go to the hearing transcript, Volume 3, PDF 23 page 406.</p> <p>24 Canadian Natural's DFIT evidence clearly 25 demonstrates that there's a high confidence of a stress 26 gradient contrast greater than or equal to 1.0 kPa per</p>
<p>529</p> <p>1 metre between the McMurray sand and the mid-B1 2 mudstone. And Mr. Lavigne -- oh, sorry. I'm not sure 3 about the witness, but it was in our opening statement, 4 Exhibit 88.02. This might've been -- yeah. It was 5 Dr. Boone. Slide 44 of 73.</p> <p>6 Geomechanical modelling evidence provides a 7 confirmation that the mid-B1 mudstone is an effective 8 barrier to vertical fracture growth. Exhibit 30.02, 9 PDF page 158 to 178 of 209.</p> <p>10 ISH agreed with Canadian Natural that the mid-B1 11 mudstone has the same sealing characteristics as the 12 regional A2 mudstone. Exhibit 63.02, page 12, 13 paragraph 20. Mr. Mathison seems to be arguing now or 14 in the past two days that the mid-B1 mudstone is too 15 thin and discontinuous to effectively act as barrier in 16 the area of the KN06 box.</p> <p>17 In ISH's reply submission, Figure 3, it shows a 18 large cutout of the mid-B1 mudstone.</p> <p>19 THE CHAIR: Sorry, Ms. Jamieson. Your 20 audio has been cutting in and out. I think you're 21 going to need to go back to Exhibit 63.02.</p> <p>22 MS. JAMIESON: Okay. I will. Thank you.</p> <p>23 Yeah. I'll go back to -- ISH agreed with Canadian 24 Natural that the mid-B1 mudstone has the same sealing 25 characteristics as the regional A2 mudstone, and that 26 can be seen in Exhibit 63.02, page 12, paragraph 20.</p>	<p>530</p> <p>1 Mr. Mathison now seems to be arguing that the 2 mid-B1 mudstone is too thin and discontinuous to 3 effectively act as a barrier in the area of the KN06 4 box. ISH's reply submission, Figure 3, ISH shows a 5 large cutout of the mid-B1 mudstone over the KN06 box. 6 Canadian Natural strongly disagrees with this 7 interpretation.</p> <p>8 While thin in places, the mid-B1 mudstone is 9 present and can be mapped over the entire box. 10 Further, it is of sufficiently low permeability to act 11 as an effective barrier. The low permeability of the 12 mid-B1 mudstone is supported by core analysis found at 13 Exhibit 48.02, PDF 36, Canadian Natural to ISH IR 14 Response 17.</p> <p>15 In Canadian Natural's view, Mr. Mathison's poor 16 choice of datum led to misinterpreting the presence and 17 thickness of the mid-B1 mudstone at the KN06 box. When 18 hung on a properly chosen datum such as the top of the 19 Wabiskaw, the mid-B1 mudstone can be correlated 20 consistently. Otherwise, picking errors occur and 21 other B-1 mudstones are miscorrelated.</p> <p>22 Turning to the third confinement stratum, the A2 23 mudstone. The A2 mudstone has been recognized as an 24 effective seal that lies between the main post B2 25 reservoir sandstone bodies and the overlying Wabiskaw 26 on a regional basis.</p>

<p>1 At KN06, the A2 regional sequence is the uppermost      2 unit of the McMurray formation. The A2 mudstone is      3 present over the entire KN06 drainage box with most      4 thicknesses being greater than 0.5 metres with the      5 exception of a small area at the 1AA/12-01 well in the      6 northwest corner of the box where it's been eroded by      7 the Wabiskaw D.</p> <p>8 ISH agrees to the sealing ability of the A2      9 mudstone but appears to have taken issue with its      10 absence in the 12-01 well alleging that that somehow      11 discounts its effectiveness over the remainder of the      12 KN06 box. Again, Canadian Natural disagrees.</p> <p>13 Mr. Mathison alleged that the area where the A2 is      14 missing "could be as big as an LSD." In Canadian      15 Natural's view, well data limits -- well data limits      16 the possible area of A2 removal. Mr. Mathison's      17 allegation of an LSD is a gross exaggeration. Even if      18 we were to accept ISH's pessimistic mapping, the A2      19 mudstone still covers approximately 95 percent of the      20 KN06.</p> <p>21 Furthermore, in the small area of the very      22 northwest corner of the drainage box where the A2      23 mudstone is absent, the remaining confinement strata      24 are still intact. So, in conclusion, on the first      25 issue, I'd like to take you back to Canadian Natural's      26 core evidence from the 1AA/11-01 well which was</p>	<p>531</p> <p>1 explained in detail by Mr. Lavigne.      2 So that would be Exhibit 88.02, Ms. Turner, if I      3 could have that brought up, and this is PDF page 18      4 of 73.</p> <p>5 MS. TURNER: One moment.</p> <p>6 MS. JAMIESON: It would just -- if there was      7 any key evidence that we would like the Panel to go      8 back to and review, it would be the evidence that has      9 been summarized on this slide. And, of course, this is      10 a compilation of Canadian Natural's earlier evidence      11 submitted as part of its hearing submission,      12 Exhibit 30.02, page 69 and 112 of 209, Tab 8 and 22.</p> <p>13 And it's Exhibit 53.02, which is Canadian Natural's      14 annotated core photos, pages 133 to 139 of 420.</p> <p>15 And what the bottom core log really demonstrates      16 is that all three confinement strata are completely      17 intact in this well, 11-01, which is located almost in      18 the centre of the KN06 box. I'm not a geologist.      19 However, I've been told that any reservoir engineer      20 looking at this core data would conclude that there is      21 effective confinement strata at this location.</p> <p>22 All right. I'm going to leave that and press on,      23 please.</p> <p>24 So with respect -- so that can come down,      25 Ms. Turner, if you're able.</p> <p>26 So the other quite controversial issue in the</p>
<p>533</p> <p>1 proceeding was the presence of faults and fractures in      2 the area of the KN06 box. Just by way of background, I      3 think it's important to take a step back. Canadian      4 Natural has been drilling and operating SAGD wells in      5 the Kirby area now for eight years. It has extensive      6 knowledge of the stratigraphic layers as well as the      7 lack of faults and fractures in this area. Canadian      8 Natural has drilled, cored, logged, including image      9 logs, and reviewed several hundred stratigraphic test      10 wells at Kirby North, including 12 within the KN06      11 drainage box. It's conducted in-depth analysis of      12 those 3D seismic.</p> <p>13 Canadian Natural is intimately familiar with the      14 stratigraphic framework in this area and can readily      15 interpret the various structural and stratigraphic      16 features that show up in both the core data and the      17 seismic. Canadian Natural's clear interpretation of      18 the relevant core, image logs, and 3D seismic in this      19 area of the KN06 box is that there are no large faults      20 in the area. Smaller scale faulting, in the order of      21 2 to 3 metres of offset, of course, is not      22 resolvable -- resolvable on seismic, and Canadian      23 Natural acknowledges that. Structural variations      24 within the KN06 area are, however, clearly demonstrated      25 by the seismic evidence to be a result of differential      26 compaction of post B2 incision sediment combined with</p>	<p>534</p> <p>1 drape effects over pre-existing Paleozoic high      2 formation by erosion.</p> <p>3 And, again, this is the second exhibit I'd like to      4 have brought up. So Mr. Sverdahl spoke to this in      5 Exhibit 88.02, the opening statement. I believe it's      6 page 30 of 73.</p> <p>7 MS. TURNER: One moment.</p> <p>8 MS. JAMIESON: So with respect -- and, again,      9 I just want to draw your attention to the key evidence      10 that substantiates, in Canadian Natural's view, no      11 large faults and very little fracturing in the area.      12 And it would be this compilation of the seismic      13 evidence. And, again, this was pulled forward from      14 Canadian Natural's hearing submission, pages 119 and      15 123 of 209, as well as Tab 29 and 33.</p> <p>16 So a couple of points on this: ISH has been quite      17 critical of Canadian Natural's seismic methodology,      18 alleging, you know, the -- the work wasn't done.      19 That's clearly in direct contradiction to Canadian      20 Natural's evidence, which you will find Canadian      21 Natural is saying they did do a detailed evaluation.      22 They acknowledge they did not show all the 3D data, and      23 that's for good reason. It's confidential data. They      24 showed what they believed demonstrated and supported      25 their contention, and we would suggest it's sufficient.</p> <p>26 Now, from this slide, what we want you to take</p>

<p>1 away, just again, is that any structural variation at      2 the KN06 box is really due to differential compaction      3 of McMurray post B2 incision sediment. And that      4 conclusion really hasn't been challenged by ISH.      5 Mr. Vermeulen spoke in terms of not being able to make      6 any conclusion. He was strong in his view that he did      7 not receive enough information to draw those      8 conclusions for himself. But I would suggest, Madam      9 Chair, as well as Panel Members, that Canadian      10 Natural's evidence on the record does demonstrate no      11 large faults or any significant fracturing.</p> <p>12 Now, in its reply submission, ISH agreed that no      13 large faults were observed in Canadian Natural's      14 seismic data. There's a statement at paragraph 50,      15 Exhibit 63.02, PDF 28. During its opening statement      16 earlier this week, ISH seemed to backtrack on this      17 position and now appears to be arguing that there could      18 be a fault with a throw of 7.5 metres in the vicinity      19 of the KN06 box. This is based on a 7.5-metre offset      20 in the oil water contact between the 06-01 and the      21 07-01 well, which they state -- which ISH states are      22 241 metres apart, indicating that the oil water contact      23 is gently dipping at 1.8 degrees. This subtle      24 structural change, confirmed by Canadian Natural's      25 seismic data, is not consistent with faulting, and at      26 the very low dip, even fracturing would be unlikely.</p>	<p>535</p> <p>1 And to support that point, we ask you to look to      2 Exhibit 86.02, PDF 12 of 23, paragraph 50 to 53.      3 This simply cannot be a large fault. Canadian      4 Natural has acknowledged that any faults with under      5 2 to 3 metres of throw would not be detectable on      6 seismic. However, a 7.5-metre fault would be clearly      7 detectable in the seismic, including in the seismic      8 semblance slices provided to ISH, and it's not.      9 With respect to smaller faults or fractures, ISH      10 seems to be arguing that if there is a large 7-meter      11 fault, then one would expect a multitude of fractures      12 in and around it as well. Mr. Mathison pointed to      13 numerous features in the core data that he identifies      14 as faults or fractures. Again, Canadian Natural      15 strongly disagrees. During its opening statement,      16 Mr. Lavigne walked us all through the numerous features      17 that ISH claims to be fractures and provided more      18 plausible interpretation. Both of these are      19 sedimentary features related to bioturbation that      20 Mr. Mathison has misidentified. Characteristics of      21 some of the alleged fracturing are consistent with it      22 having been drilling-induced. None of the wells      23 illustrated lie within the KN06 box, and, additionally,      24 there are no demonstrable natural fractures in      25 the confinement strata. This is confirmed from the      26 analysis of the 20 image logs provided by Canadian</p>
<p>1 Natural.      2 Lastly, even if one were to accept that some of      3 the observed features may be actual faults or      4 fractures, in order for them to be effective conduits      5 for or enablers of steam rise, the faults or tracts      6 need to be demonstrated to be open and have significant      7 hydraulic conduct -- conductivity such that both steam      8 vapour can rise and condensed steam can drain. This      9 was not demonstrated, nor would it be likely for any of      10 the observed features. And, again, this is discussed      11 in the paper Collins, et al., 2011.      12 And in terms of onus of proof, ISH, as the      13 appellant, has clearly failed to demonstrate, you know,      14 first of all, that faults and fractures exist. But      15 they have to go further than that. They have to      16 actually demonstrate a network of fractures with      17 sufficiently open conduits, sand-filled, that would      18 allow or create the steam to rise to the confinement      19 strata. And there really is no evidence on the record      20 that ISH can point to that gets them that far.      21 If I could just have one moment. I just want to      22 check my notes on this first hearing issue if I could      23 before I move on.      24 THE CHAIR: Sorry. Go ahead.      25 MS. JAMIESON: Thank you.      26 Thank you, Madam Chair.</p>	<p>537</p> <p>1 So moving forward to Hearing Issue Number 2: risk      2 of fracture. So the second hearing issue is whether      3 the risk of fractures or other breach of the barrier or      4 top seal, as is present, result from Canadian Natural's      5 proposed operations in the KN06 box. Canadian Natural      6 has conducted thorough geomechanic investigation of the      7 risk of hydraulic fracturing at the KN06 box, including      8 analysis of the Kirby North field data, in situ      9 stresses, and geomechanic modelling. The results of      10 these investigations clearly demonstrate that the      11 confinement strata will contain steam and reservoir      12 fluids in the McMurray formation.      13 Now, focused on the first potential risk, the risk      14 of fracturing during start-up: First, Canadian      15 Natural's evidence demonstrates that the risk of      16 hydraulic fracturing within the post B2 reservoir -- so      17 this is in the sand -- during start-up operations is      18 extremely low. Analysis of the operational data for      19 the prior 96 Kirby North start-ups confirms that      20 fracturing from injection is a very rare event.      21 Indeed, there was conclusive evidence that 95 of 96      22 wells were started up with no fracturing in the      23 McMurray sands, and the last one was merely a possible      24 fracture. For that, we point to Exhibit 30.02,      25 paragraph 134 to 143, PDF pages 29 to 31.      26 There are a couple of other important conclusions</p>

539	<p>1 that can be drawn from Canadian Natural's analysis of      2 the field data. 41 of the 96 wells initiated      3 circulation at bottomhole pressure, BHP, greater than      4 60.0 MPa. For a -- oh, sorry. This is -- I misspoke.      5 This is a misprint. I think the first one, 41 of 96      6 wells, were less than 6 MPa. Where start-ups require      7 BHP greater than 6 MPa, they were typically performed      8 for one hour with and with very small injected volumes.      9 That was analyzed in the data provided at      10 Exhibit 30.02, paragraph 144, PDF page 31.</p> <p>11 None of this is unusual or pushing the envelope      12 for a SAGD circulation start-up. Same exhibit,      13 paragraphs 171 to 173, PDF pages 38 to 39.</p> <p>14 Similarly, the analysis of DFIT and fracture      15 containment mechanisms demonstrate high confidence in      16 the stress contrast between the McMurray post B2      17 reservoir sand and the mid-B1 mudstone to effectively      18 contain any fractures. Exhibit 30.02, paragraph 144,      19 PDF page 31.</p> <p>20 This is one of the three fracture containment      21 mechanisms present within the KN06 McMurray setting.      22 Geomechanic modelling confirms the analysis of the      23 field data and stress contrast -- and stress contrast      24 fracture containment mechanisms.</p> <p>25 Just give me a moment.</p> <p>26 Mr. Walters, who is an industry-recognized expert</p>	540
541	<p>1 conclusive for the Panel.</p> <p>2 Now, in its reply submission, ISH presented an      3 alternative, quantified risk, and this risk scenario      4 was a wellbore channel at the 10-01 well, which would      5 lead to souring of both the Upper Mannville II -- so      6 that's the GOB to Wabiskaw B -- and Upper Mannville HH      7 Grand Rapids gas zone. ISH assessed the consequence of      8 this risk to be \$2 million. You can find that at      9 Exhibit 63.02, paragraphs 101 to 102, PDF pages 45 to      10 46.</p> <p>11 Canadian Natural's position is that the evidence      12 shows that there is no channel in the cement behind      13 casing of the 10-01 well. The cement bond logs confirm      14 that there is good bond above and below the Wabiskaw      15 and that the Mannville II does remain isolated. The      16 third-party independent reviews of bond logs concluded      17 that, without a doubt, there was definite hydraulic      18 isolation. Exhibit 81.01, PDF 35 of 36.</p> <p>19 Now, the parties obviously disagree on this point,      20 but rather -- first of all, what the Panel has in front      21 of it is the evidence of the cement bond logs that do      22 demonstrate integrity. There is also agreement that      23 the 10-01 gas was flowing.</p> <p>24 Madam Chair, I'm just being told that maybe I'm      25 not speaking up enough.</p> <p>26 So rather than to get into the points of</p>	542

<p>1 pressure in the gas at the 10-01 well immediately above      2 KN06 stayed constant for 13 years, as was noted in      3 Mr. Leech's report in ISH's reply submission,      4 Exhibit 63.01, PDF 54 of 102 -- correction,      5 Exhibit 63.02.</p> <p>6 This sustainment of this upper pressure difference      7 for more than a decade is a demonstration of the      8 long-term effectiveness of the confinement strata as a      9 barrier in this area. This is inconsistent with the      10 ISH claim of natural fracture and fault open conduit.</p> <p>11 Additionally, in Table 1 of Exhibit 9.02, which is      12 found at page 82 of 119, it is clear that the AER      13 recognizes that the SAGD operating pressures other than      14 during the start-up will remain between 2.5 and 4 MPa      15 in order to stay balanced with the bottom water. This      16 is a low pressure. These operating pressures are only      17 42 to 67 percent of the approved 6 MPa maximum      18 operating pressure and so pose little risk to the      19 integrity of the confinement strata over the length of      20 the operation. Therefore, any potential natural      21 fractures or faults will remain closed for the length      22 of the operation.</p> <p>23 Additionally, monitoring of the Jackfish project,      24 the RST data that I spoke of earlier, which is a      25 geological -- sorry, a geologic analogue with late-life      26 SAGD operations, shows all steam chambers have been</p>	<p>543</p> <p>1 contained by the first barrier, again, the post B2      2 non-reservoir, after more than a decade of SAGD      3 operations at many of the wells. And the evidence      4 supporting that statement can be found at      5 Exhibit 30.02, paragraph 78 to 82, PDF 20.</p> <p>6 It should also be noted -- and I'll come back to      7 this, but -- that the present value of the Mannville      8 gas is estimated to be 21 -- \$21,000 to \$620,000.      9 That's Canadian Natural's evidence provided in its      10 opening statement, Exhibit 88.02, PDF page 56 of 73.</p> <p>11 Now, we appreciate that is Canadian Natural's      12 valuation. However, it did provide its full      13 methodology to ascertain those numbers, which is in      14 stark contrast to ISH's numbers, which are provided and      15 some assumptions made, but no methodology or      16 description was provided in its evidence.</p> <p>17 So -- but just assuming the full value of this gas      18 is lost, which is, of course, highly unlikely, one can      19 still not justify the cost of an observation well or      20 4D seismic as the cost is comparable to the risk being      21 mitigated.</p> <p>22 Finally, we note that Ms. Giry characterized the      23 souring of the Mannville II pool as a "safety issue."      24 And the reference for that is at Transcript Volume 2,      25 page 169, PDF 28 of 224.</p> <p>26 The souring of a gas pool is not a safety issue.</p>
<p>545</p> <p>1 Any potential safety issue from H2S would only arise      2 when or if the GOB was actually produced. And then, of      3 course, there are numerous sour gas safety protocols      4 that would be in place to prevent any safety issues.      5 Sour solution gas is routinely produced and handled      6 within both thermal and conventional operations. In      7 fact, the sour gas generated in SAGD operations      8 produced and commonly used as a fuel for steam      9 generation.</p> <p>10 I'll pause here and take a moment, if I could,      11 again to check my notes, Madam Chair, please.</p> <p>12 THE CHAIR: Sure. So I know you have had      13 some technical issues. We are over an hour now, but,      14 as I say, you've had technical issues. So how close      15 to -- are you to the end of your argument?</p> <p>16 MS. JAMIESON: Thank you.</p> <p>17 I had lost track of the time. So I appreciate the      18 reminder. I think I'm going to cover the third issue      19 very quickly, and then I have some final comments.</p> <p>20 THE CHAIR: Okay.</p> <p>21 MS. JAMIESON: The third hearing issue      22 presented by the Panel is whether or not there is a      23 need for an observation well at KN06. Of course, in      24 Canadian Natural's view, there is no need for this      25 observation well. They certainly don't need an      26 observation well. And so the only reason that one</p>	<p>545</p> <p>1 potentially could be drilled would be for the purpose      2 of monitoring the GOB. In Canadian Natural's view, an      3 observation well is not suitable for this purpose or      4 justified in the circumstance.</p> <p>5 As just discussed, there is an extremely low      6 likelihood of contamination of the GOB: First, because      7 there will be an effective confinement barrier; and,      8 second, the KN06 box is in a no-fault, low-fracturing      9 environment such that there are no natural pathways or      10 conduits up into the GOB.</p> <p>11 Even if there are a few natural fractures, these      12 fractures would need to be open and of a certain size      13 to act as a conduit for steam, which I discussed      14 earlier. The evidence suggests that none of these      15 types of natural fractures exist. ISH is requesting an      16 observation well because of a belief that they would      17 act as early detection and possibly prevent      18 contamination of the GOB.</p> <p>19 Mr. Craig explained that observation wells provide      20 monitoring, not prevention. Exhibit 88.02, Slide 56 --      21 PDF 56 of 73.</p> <p>22 Further, while an observation well could be      23 drilled and outfitted to monitor the GOB zone, from an      24 economic perspective, again, this would exceed the      25 value of the gas it is intended to monitor, 600K      26 versus 21 to 620K. We think this is a relevant</p>

547

1 consideration and should be taken into account by the  
 2 Panel. Again, back to your mandate, you are and should  
 3 be taking -- you are -- sorry, you have the  
 4 jurisdiction and should be taking into account economic  
 5 effects.

6 More importantly, there is a more appropriate  
 7 method of monitoring the GOB, and that is with a gas  
 8 well. There are four gas wells in the Mannville II gas  
 9 pool, one of which is the 10-01 well that has received  
 10 so much discussion. In Canadian Natural's view, the  
 11 10-01 -- 10-01 well is the most appropriate because  
 12 it's -- because it is located in the KN06 box and  
 13 already has the downhole temperature and pressure  
 14 gauges installed. Exhibit 30.02, paragraph 11, PDF  
 15 of -- 5 of 209.

16 Further, and as stated earlier, the well-integrity  
 17 issue being raised by ISH is a proverbial red herring  
 18 and not plausible. As I indicated earlier, the  
 19 evidence points to sound cement behind casing into the  
 20 formation. This can easily be verified by a reservoir  
 21 pressure test of the Upper Mannville HH pool, as  
 22 described by Mr. Leech, which ISH has not yet  
 23 performed. That's at Exhibit 63.02, page 53 of 102.

24 Regardless, even if there proves to be a problem,  
 25 this well can be repaired and still be utilized as a  
 26 GOB monitoring well, or, if for some reason it simply

1 cannot be, there are three other wells in this pool  
 2 that could also be used to monitor the GOB.  
 3 Finally, I want to come back to Canadian Natural's  
 4 need for the 7 MPa start-up pressure. Mr. Craig  
 5 described how Canadian Natural's aim is to circulate  
 6 and unload the wells as quickly and efficiently as  
 7 possible. Where conditions are right, they will be  
 8 able to do that under 6 MPa. And based on the field  
 9 data to date, this will be in 50 percent or more of  
 10 cases. However, there will be times when certain wells  
 11 simply won't unload at the lower pressures due to low  
 12 reservoir permeability, and, in addition, the 7 MPa  
 13 start-up pressure is needed to prevent process upsets  
 14 in the central processing facility.

15 When asked about a lower start-up pressure,  
 16 Mr. Craig described the issues faced when wells are not  
 17 effectively unloaded. He discussed slugs of liquid  
 18 that are intermittently unloaded from the well. These  
 19 slugs of fluid cause pause pressure variation in the  
 20 CPF and are likely to cause upsets at the plant, which,  
 21 in turn, take time, costs, and often require a  
 22 reduction in the production rate to deal with that can  
 23 go on from days to weeks.

24 Accordingly, Canadian Natural needs the higher  
 25 start-up pressure and would suggest that the economic  
 26 impact of a lower, under 6 MPa start-up pressure should

549

1 be taken into (AUDIO FEED LOST).  
 2 I'll point you to the hearing transcript for  
 3 Mr. Craig's explanation. Volume 3, pages 398 to 399,  
 4 PDF 70 to 71 of 165.

5 On a number of occasions, ISH seems to suggest  
 6 that this is -- that the 7 MPa start-up pressure will  
 7 present some sort of undue risk and that a limit of  
 8 6 MPa somehow mitigates this risk. Again, all the  
 9 evidence points to the fact that there is little to no  
 10 risk of hydraulic fracture upon start-up. Accordingly,  
 11 this is more of a perceived risk on ISH's part than an  
 12 actual risk, and we ask the panel to see through this.

13 Finally, I want to finish off by coming back to  
 14 the extensive controls and operating procedures that  
 15 Canadian Natural has in place to prevent an issue.  
 16 Mr. Craig described these at length as well as Canadian  
 17 Natural's commitment to adopt enhanced start-up  
 18 procedures that will reduce the time period for a well  
 19 operating above 6 MPa, as recommended by Dr. Boone.

20 Canadian Natural is committed to a geomechanics  
 21 workshop for operational staff to enhance understanding  
 22 and awareness of start-up issues and an enhanced  
 23 monitoring process that triggers expert geomechanical  
 24 support for wells where pressures over 6 MPa are  
 25 required during start-up. That's at Exhibit 65.01, AER  
 26 to CNRL Information Response Number 8, PDF page 27 of

550

1 45.  
 2 And we would like the Panel to take these  
 3 mitigation measures or enhancements into consideration  
 4 when it's thinking in terms of mitigating the risk, if,  
 5 in fact, there is a risk. These measures are clearly  
 6 over and above what is needed, given the extremely low  
 7 risk of fracture on start-up. However, Canadian  
 8 Natural is prepared to implement them as a  
 9 responsibility operator using modern methods and as  
 10 part of their commitment to continuous improvement.

11 Madam Chair, I think I'm about ten minutes away  
 12 from finishing up. Shall I proceed, or were you  
 13 thinking we should take a break?

14 THE CHAIR: I was thinking more in terms  
 15 of fairness to both parties in respecting the time  
 16 limits, so unless --

17 So, Ms. Howden, do you need a break? I'm looking  
 18 at our court reporter.

19 THE COURT REPORTER: No. I'm okay.

20 THE CHAIR: Okay. So if you can finish in  
 21 ten, Ms. Jamieson, let's proceed. I'll note that you  
 22 do -- you are still coming in and out a bit because I  
 23 noticed Ms. Howden struggling sometimes when you seem  
 24 to fade out or disappear.

25 THE COURT REPORTER: Yeah. It's just a word here  
 26 and there that I can't hear. Like right now, I can't

<p>1 hear anything. Oh, you're muted maybe.</p> <p>2 MS. JAMIESON: I am going to speak right over 3 the telephone in front of me, and let's see if that 4 improves things. And if not, I will repeat anything 5 that you need me to for the transcript (AUDIO FEED 6 LOST).</p> <p>7 THE CHAIR: No. We can't hear you at all 8 now.</p> <p>9 MS. JAMIESON: Madam Chair, can you hear me 10 right now?</p> <p>11 THE CHAIR: I -- yes.</p> <p>12 MS. JAMIESON: Okay. I'm going to just try 13 to finish up. We'll just have to make do here if we 14 could.</p> <p>15 Yeah. So I would like to encourage the Panel just 16 to take a step back. As I mentioned in my instruction, 17 the Panel certainly can take a broader view, take a 18 look at its larger mandate as well as the broader 19 conclusion. The first comment I would like to make is 20 that SAGD operations have been occurring in the 21 Fort McMurray area since 1996, 24 years ago. Since 22 that time, Canadian Natural has been a significant 23 contributor of SAGD development, having drilled and 24 operated 300-plus wells, all without any known 25 incidents of lost steam to other formations during 26 circulation, start-ups, or continuous SAGD operations.</p>	<p>551</p> <p>1 The GOB proceedings took place in 2004 and 2005 2 and led to the shut-in of certain gas pools in order to 3 avoid further impairment of bitumen recovery, including 4 the Kirby Upper Mannville 2 pool directly above the 5 box -- KN06 box. Further, as a result of the GOB 6 decision, gas producers were extended compensation for 7 the shut-in gas through the Alberta Energy royalty 8 adjustments, as outlined in the "Alberta Natural Gas 9 Royalty Guidelines."</p> <p>10 For the Kirby Upper Mannville II pool, Canadian 11 Natural's accounting records indicate that compensation 12 of approximately 5 million was provided in royalty 13 adjustments to Canadian Natural and ISH relating to the 14 shut-in -- shutting in of the pool.</p> <p>15 Another consideration that I mentioned earlier is 16 the value of the remaining reserves. Canadian 17 Natural's -- in Canadian Natural's estimation, the 18 value of the gas remaining in the pool is 21 to 620K. 19 ISH provided evidence of the value of the gas remaining 20 in the pool of \$2 million. We are asking the Panel to 21 keep these values in mind when it considers the 22 monitoring options ISH has brought forward as very few 23 of them can be justified in light of: One, the value 24 of the remaining reserve, in particular, the value of 25 the remaining gas reserve does not justify the 26 approximate cost of 600,000 to drill and equip a SAGD</p>
<p>553</p> <p>1 observation well; and, two, the efficacy of the 2 additional monitoring with further risk reduction.</p> <p>3 Finally, it is -- one other aspect that we ask the 4 Panel to pay attention to is that the mineral rights in 5 the gas pool, the Wab B, are jointly held, 6 53.75 percent by Canadian Natural and 46.25 percent by 7 ISH. As a joint majority owner, Canadian Natural has a 8 mutual interest in protecting the gas pool.</p> <p>9 And, finally, while it's recognized -- it's 10 critical to recognize that the KN06 box is part of a 11 much larger scheme, the Kirby North project. The Kirby 12 North project is well underway and ultimately will 13 recover 377 million barrels of bitumen. And 14 Mr. Iannattone, in his opening statement, highlighted 15 the economic benefits of the Kirby North project to the 16 citizens of Alberta, including 1.2 billion in 17 net present value royalties to Alberta as well as 18 133 million a year in jobs and contracts for 19 operations.</p> <p>20 And, again, we're not suggesting that this excuse 21 anything, but we're saying the Panel should be taking 22 into account the economic benefits and costs of the 23 KN06 box. To date, Canadian Natural has executed on 24 96 SAGD wells at the KNO2 to KNO5 boxes, all within the 25 same confinement and without any instance of lost steam 26 to other formations.</p>	<p>554</p> <p>1 Mr. Iannattone also spoke of Canadian Natural's 2 strong commitment to operational excellence, as well 3 as to its culture of continuous improvement.</p> <p>4 So based on our written and oral submissions in 5 this proceeding, the depth and technical expertise that 6 Canadian Natural -- Canadian Natural brings to the 7 table to these issues, in our view, is clear and 8 extensive. Canadian Natural is highly invested in SAGD 9 development and is engaged in developing these 10 resources at a time when economic development is needed 11 in this province.</p> <p>12 I believe I'm done, Madam Chair. But if I could 13 just take a moment and consult with my client to make 14 sure.</p> <p>15 THE CHAIR: Go ahead.</p> <p>16 MS. JAMIESON: Just one last comment, 17 Madam Chair.</p> <p>18 Ms. Berg spoke in terms of -- I think it was in 19 response to a question from Ms. McKinnon -- in terms of 20 whether or not the Panel should be taking into account 21 the economics. And at one point, she asked the 22 question: Is there a point where too much -- there's 23 too much economic burden or cost to the operator to 24 provide and how that should be considered in the 25 context of the AER's larger mandate? And in response, 26 Ms. Berg started speaking about, you know, how</p>

<p>1 commercial parties make commercial decisions, that type      2 of thing, and then spoke in terms of -- that -- in      3 terms of any costs or burden on Canadian Natural from,      4 say, monitoring should not be put -- not flow through      5 or be put on Alberta taxpayers. And I just wanted to      6 bring to the Panel's attention, when they're weighing      7 these economic considerations, that every dollar      8 Canadian Natural actually spends is deducted against      9 the Crown royalty payments. So that does ultimately      10 impact the Government of Alberta's intake, which goes      11 to the public interest of Alberta, and we do think this      12 is a consideration. If, in fact, the mitigation and      13 monitoring measures that Canadian -- or, sorry, that      14 ISH is requesting and proposing were appropriate or      15 needed in any way, this would not be an issue. But,      16 from Canadian Natural's perspective, there is an      17 extremely low risk that anything is actually going to      18 impact the GOB, and, therefore, expensive monitoring or      19 mitigation measures just cannot be justified, in our      20 view.</p> <p>21 Thank you, Madam Chair and Panel Members, for your      22 patience. And I -- that does conclude my closing      23 remarks.</p> <p>24 THE CHAIR: Thank you.</p> <p>25 Commissioner McKinnon, any questions?</p> <p>26 MS. MCKINNON: I have no questions. Thank</p>	<p>555</p> <p>1 you.      2 THE CHAIR: It's hard to unmute myself      3 when I jump around like that.      4 Commissioner Zaitlin, any questions?      5 DR. ZAITLIN: No. Thank you.      6 THE CHAIR: No. And I don't have any,      7 either.</p> <p>8 So, Ms. Berg, in terms of the reply, I think on      9 the schedule that we had circulated, we had no break in      10 between, but I'm going to propose just a short      11 ten-minute break before we come back for your reply.      12 I'm assuming you have a reply?</p> <p>13 MS. BERG: I do have a brief reply, yes,      14 and I would like to confer with my clients to ensure      15 that I cover everything, so I would appreciate a      16 ten-minute break.</p> <p>17 THE CHAIR: Okay. So we'll take a      18 ten-minute break and be back at 12:20.</p> <p>19 (ADJOURNMENT)</p> <p>20 THE CHAIR: We're back and live. Although      21 I didn't expect it based on the forecast, the sun has      22 broken through the clouds, and my blinds aren't able to      23 totally keep it out. So I'm going to be basking in the      24 glow one sided here.</p> <p>25 Ms. Berg, whenever you're ready.</p> <p>26 Closing Remarks by ISH Energy Ltd.</p>
<p>557</p> <p>1 MS. BERG: Thank you, Madam Chair.      2 So at the outset, Ms. Jamieson began her remarks      3 by indicating that it's her understanding that -- this      4 morning when I referred to the umbrella application      5 that I was suggesting that the entire 11475 scheme be      6 set aside. That's not the case. Apologies if that was      7 not clear.</p> <p>8 When I referred to an umbrella application,      9 essentially what I was referring to was getting an      10 overall approval with the others going through on      11 almost exactly the same basis. And what I am saying is      12 that with regard to Approval 11475EE, we have      13 considerations -- particular considerations on the      14 geology here that mean that it just can't be easily      15 tacked on to the other earlier approvals with no      16 additional consideration. So just, again, to clarify,      17 the only approval under appeal here and that we are      18 addressing is the 11475EE approval.</p> <p>19 So with regard to some of Ms. Jamieson's remarks      20 regarding application de novo, insofar as it is an      21 application de novo, it is still necessary for CNRL to      22 demonstrate that it should get its approval on the same      23 basis as -- as it was initially provided.</p> <p>24 And it's our submission that -- that, one, the      25 approval -- the information that's been provided is      26 such that -- that the approval should not have been</p>	<p>558</p> <p>1 granted, and it should be rescinded and -- and CNRL      2 should take steps to reapply or alternatively -- and,      3 absolutely, this -- this Panel has the ability to      4 assess the evidence before it and determine whether      5 additional mitigations should be put in -- in place      6 with regard to this approval under appeal.</p> <p>7 So with regard to Ms. Jamieson's submissions      8 regarding the use of the reasonableness tests, we agree      9 that the reasonableness test is the test that is      10 applicable here. And I submit that having regard to      11 the evidence before you in this proceeding, that --      12 that there is strong evidence that -- that this      13 approval should either be modified significantly to      14 increase the mitigations or alternatively, as we've      15 already noted, rescinded.</p> <p>16 With regard to -- and I don't have the decision in      17 front of me, but Ms. -- I believe Ms. Jamieson referred      18 to a decision that was cited in the -- in the -- in the      19 AER decision that granted this appeal with regard to      20 bitumen owners being allowed to interfere or waste gas,      21 and -- and there is -- I thought that the      22 decision-makers -- it's my recollection the      23 decision-makers in that initial AER decision addressed      24 the law on that properly and that parties need to take      25 reasonable steps to ensure that -- that bitumen owners      26 need to take reasonable steps to ensure that -- that</p>


<p>1 gas is not wasted. There isn't some carte blanche 2 ability to waste gas.</p> <p>3 Now, Ms. Jamieson also made note of comments that 4 I made regarding the waste and destruction of gas and 5 advised that, you know, CNRL's operations will not 6 ultimately waste or destroy any of these resources. 7 But the bottom line is that the GOB won't -- won't be 8 produced if there is a significant breach of the zone. 9 That gas can be and in other projects, I understand, 10 has been destroyed by significant breaches of the GOB 11 zone.</p> <p>12 With regard to the souring, there -- there is also 13 a significant cost that goes into treating gas that is 14 soured, and so I -- I think that -- that our earlier 15 submissions on the point are relevant. We -- ISH -- 16 ISH is engaged in this proceeding because it has real 17 concern about its future ability to produce that 18 resource. It is concerned about whether that resource 19 will continue to exist in the same form when it is 20 finally allowed to produce it.</p> <p>21 And just -- if I may, I'd really like to --</p> <p>22 Ms. Jamieson talked about the onus and -- and the 23 burden of proof being on the appellant and -- and 24 apologies to Ms. McKinnon because I think that that is 25 obvious, and I -- I should have gone there at the outset with her question.</p>	<p>559</p> <p>1 But there's an additional step when engaged in an 2 appeal. Now, obviously the initial -- the initial onus 3 is on the appellant. The appellant needs to 4 substantiate what -- what it -- its concerns are. It 5 needs to substantiate, in this case, that there is a 6 problem, a significant issue with the -- with the 7 issuance of this approval.</p> <p>8 But there's a point that the onus shifts back, and 9 I submit that we have reached that point in this 10 appeal. We have used core. We have used the -- the 11 substantial -- there's been substantial evidence 12 provided on core that indicates a lack of a barrier and 13 fractures and potential faults. There is oil water 14 contact information, and there's limited seismic 15 information that also suggests -- that's consistent 16 with the -- the core data and the oil water contact 17 data and some of the other well log data that is on the 18 record.</p> <p>19 So there -- there is significant evidence that 20 there is a problem, and CNRL is the entity that has the 21 seismic data that could put -- could have put that 22 issue to rest. That onus, I submit, submitted back to 23 CNRL, and CNRL by not providing information that was 24 explicitly requested by ISH, I would submit, failed 25 to -- to meet its -- its onus, which, again, I -- I would submit has shifted back to CNRL.</p>
<p>561</p> <p>1 And then, finally, I -- I would like to go back, 2 Madam Chair, to your question regarding the GOB order 3 because I discussed it with my clients over the break, 4 and I think I may have misunderstood your question. If 5 you're referring to whether you -- whether the AER 6 should consider the economic implications of the GOB 7 order -- and is that fair? Is that -- was that what 8 was underlying your question, or ...</p> <p>9 THE CHAIR: No. What was underlying my 10 question was whether there is any -- within the legal 11 framework that we'll be using to make our decision, is 12 there anything that we should be looking to or that 13 suggests that we should be taking into account the fact 14 that ISH is bound by the GOB order and, for the time 15 being anyway, prevented from doing anything with that, 16 from producing that gas?</p> <p>17 MS. BERG: Well, I would simply note 18 that -- that ISH wants the opportunity to produce that 19 gas in the future. The gas over bitumen decision, I 20 think it's fair to say, was -- was largely a win for 21 the -- for the bitumen producers. ISH has provided 22 evidence on the record, I believe, at IR Number 9 of 23 the AER IRs indicating its past lost opportunity for 24 four wells in the area of approximately 4.5 million, 25 and there will be future lost opportunity as well.</p> <p>26 And so I guess insofar as you are taking into</p>	<p>562</p> <p>1 account economic considerations, I -- I would submit 2 that -- that it would be fair to -- to have regard to 3 that.</p> <p>4 And I believe that those are my submissions. Yes.</p> <p>5 THE CHAIR: Thank you, Ms. Berg.</p> <p>6 So I'm going to suggest that anybody who is on our 7 Zoom team on the Zoom call, if you want to turn your 8 cameras on, one, we'll see how many people are on Zoom 9 with us at the moment, and, two, then I'll give my 10 closing remarks, although, of course, I'm not going to 11 know when everybody's on. But yes -- and to be clear, 12 I'm also -- there we go. I was going to say, to be 13 clear, I'm including AER team as well. Is that it?</p> <p>14 Well, I'll go ahead, anyway. Everybody else may just 15 be listening.</p> <p>16 So I want to thank you all very much for your 17 participation. I would like to convey the Panel's 18 appreciation of your flexibility and your willingness 19 to participate in this hearing by Zoom. As I say, it's 20 the AER's full Zoom-based hearing. So I would invite 21 and, in fact, encourage you to provide any feedback you 22 have about the electronic format and how that worked.</p> <p>23 And, specifically, if you've got any suggestions for 24 how it might work better to our hearing services 25 department -- because we do have other electronic hearings coming up, and continuous improvement is</p>

1 certainly something that the AER pays attention to as  
 2 well.  
 3 And no change is too small. So if the suggestion  
 4 is, you know, people should get detailed instructions  
 5 about how to get in and out of breakout rooms without  
 6 being sent or pulled out, that's fair game.  
 7 So you've provided us with a great deal to think  
 8 about over the last few days. The Panel will review  
 9 and consider the evidence and submissions made, and  
 10 we'll make our decision on this regulatory appeal.  
 11 We know Canadian Natural is anxious to have a  
 12 decision before the end of the calendar year. The  
 13 Panel has 90 days in which to issue its written  
 14 decision. If we have a decision that is ready to go,  
 15 in our view, before 90 days, we won't hang on to it.  
 16 We will issue our decision when it is ready. Each of  
 17 the parties who have participated in this hearing will  
 18 receive a copy.  
 19 And now the hearing is closed. Thank you.

20 \_\_\_\_\_  
 21 PROCEEDINGS CONCLUDED  
 22 \_\_\_\_\_  
 23  
 24  
 25  
 26

563

564

1 CERTIFICATE OF TRANSCRIPT:  
 2  
 3 We, Sarah Howden and Andres Vidal, certify that  
 4 the foregoing pages are a complete and accurate  
 5 transcript of the proceedings taken down by us in  
 6 shorthand and transcribed from our shorthand notes to  
 7 the best of our skill and ability.  
 8 Dated at the City of Calgary, Province of Alberta,  
 9 this 16th day of October 2020.  
 10  
 11   
 12 \_\_\_\_\_  
 13 \_\_\_\_\_  
 14 Sarah Howden, CSR(A)  
 15 Official Court Reporter  
 16  
 17   
 18 \_\_\_\_\_  
 19 \_\_\_\_\_  
 20 Andres Vidal, CSR(A)  
 21 Official Court Reporter  
 22  
 23  
 24  
 25  
 26